

RED HILL VALLEY PARKWAY INQUIRY

TRANSCRIPT OF PROCEEDINGS  
HEARD BEFORE THE HONOURABLE J. WILTON-SIEGEL  
held via Arbitration Place Virtual  
on Wednesday, June 1, 2022 at 9:35 a.m.

VOLUME 22

Arbitration Place © 2022  
940-100 Queen Street      900-333 Bay Street  
Ottawa, Ontario K1P 1J9      Toronto, Ontario M5H 2R2  
(613) 564-2727      (416) 861-8720

APPEARANCES:

Emily C. Lawrence  
Shawna Leclair

For Red Hill Valley  
Parkway

Eli Lederman  
Delna Contractor  
Samantha Hale

For City of Hamilton

Heather McIvor  
Colin Bourrier  
Chris Buck

For Province of Ontario  
For Dufferin Construction

Jennifer Roberts  
Nivi Ramaswamy

For Golder Associates Inc.

ALSO PRESENT:

Fady Toban

INDEX

	PAGE
BRIAN MALONE; RESUMED	3602
EXAMINATION BY MS. LAWRENCE	3602
EXAMINATION BY MS. JENNIFER ROBERTS	3603
EXAMINATION BY MS. CONTRACTOR	3687
EXAMINATION BY MR. BUCK	3770
FURTHER EXAMINATION BY MS. LAWRENCE	3777
BRIAN APPLEBEE; AFFIRMED	3790
EXAMINATION BY MS. LAWRENCE	3790

1 Arbitration Place Virtual

2 --- Upon resuming on Wednesday, June 1, 2022

3 at 9:52 a.m.

4 MS. LAWRENCE: Good morning,  
5 Commissioner. We're starting a little late this  
6 morning due to some technical issues, but I  
7 understand that we are ready to proceed this  
8 morning.

9 JUSTICE WILTON-SIEGEL: Okay.  
10 Then I will begin by reading the ruling that I  
11 have come to after considering the issue that was  
12 raised yesterday by Mr. Lederman.

13 The City's position  
14 effectively reverses the implicit assumption that  
15 all of the witnesses appearing before -- I'm  
16 sorry.

17 By way of background, the City  
18 has asserted that the existence of any joint  
19 defence agreement, tolling agreement, cooperation  
20 agreement or agreement of similar nature is  
21 privileged and therefore not admissible and has  
22 declined to answer any questions put by commission  
23 counsel about the existence of such agreements.  
24 Commission counsel is of the view that any such  
25 agreements are not entitled to the benefit of a





1 question.

2 More generally, neither the  
3 City nor CIMA suggests that the parties have any  
4 common interest in any litigation or that they  
5 have exchanged any confidential information in  
6 furtherance of any common interest in any  
7 litigation. The City's position effectively  
8 reverses the implicit assumption that all of the  
9 witnesses appearing before the inquiry are truly  
10 independent. Absent a factual basis for a claim  
11 of privilege or confidentiality, a witness should  
12 be able to address all relevant questions put to  
13 the witness without awaiting a determination of a  
14 question of privilege that might be asserted in  
15 respect of one or more agreements to which there  
16 is no evidence or suggestion that the witness or  
17 his employer is a party.

18 For all these reasons,  
19 Mr. Malone may answer the questions posed by  
20 commission counsel as to whether he or his  
21 employer CIMA is a party to any such agreement.  
22 However, I have considered the City's request for  
23 a motion. Assuming for the moment that the City  
24 and one or more other participants may assert a  
25 privilege in respect of either or both of the

1 existence of one or more such agreements and their  
2 contents, I agree with the City that where a  
3 witness does object to answering questions about  
4 such agreements posed by commission counsel on the  
5 basis of privilege, that issue should be addressed  
6 in a motion which involves such parties.

7                               Such motion should respect the  
8 confidentiality of any such arrangements pending a  
9 determination under the rules of the inquiry. I  
10 ask that counsel for the City and any participants  
11 who intend to assert privilege of this nature  
12 should address the issue of a proper procedure  
13 with commission counsel with a view to having the  
14 matter determined expeditiously.

15                               That said, Ms. Lawrence should  
16 put the questions to the witness.

17                               MS. LAWRENCE: Thank you,  
18 Commissioner.

19 BRIAN MALONE; RESUMED

20 EXAMINATION BY MS. LAWRENCE:

21                               Q. Mr. Malone, good morning.

22                               A. Good morning.

23                               Q. I have two questions for  
24 you. Are you personally a party to any joint  
25 defence agreement, cooperation agreement or



1 tolling agreement with the City of Hamilton?

2 A. To the best of my  
3 understanding of the definition of the terms you  
4 used, no.

5 Q. To your knowledge, is  
6 CIMA party to such agreements?

7 A. To the best of my  
8 understanding of the definition of the terms you  
9 used, no.

10 Q. Thank you. Those are my  
11 questions of this witness, Commissioner.

12 JUSTICE WILTON-SIEGEL: Thank  
13 you.

14 MS. LAWRENCE: I understand  
15 that Ms. Roberts is going to examine next and that  
16 she will be close to an hour.

17 JUSTICE WILTON-SIEGEL: Okay.  
18 Ms. Roberts.

19 MS. JENNIFER ROBERTS: Thank  
20 you.

21 EXAMINATION BY MS. JENNIFER ROBERTS:

22 Q. Mr. Malone, I'm  
23 Jennifer Roberts. I'm counsel for Golder. How do  
24 you do?

25 A. Good. Good morning.

1 Q. Commissioner, may I  
2 begin?

3 JUSTICE WILTON-SIEGEL: Yes,  
4 please.

5 BY MS. JENNIFER ROBERTS:

6 Q. Okay. Mr. Malone, I'm  
7 going to go back over some of the evidence from  
8 yesterday and I'm going to jump around a little  
9 bit and I will hopefully stay on track here, but  
10 if there's any confusion about what I'm referring  
11 to, just raise it with me and I can make sure that  
12 I've got the right document up and we're on track.  
13 Okay.

14 I want to go back, if we  
15 could, please, to the first engagement, which goes  
16 back to March of 2013. And I take it, sir, that  
17 when you put forward your proposal, you requested  
18 design documents from the City of Hamilton?

19 A. We did. That request was  
20 listed in the proposal, yes.

21 Q. I saw that, so you asked  
22 for CAD drawings and I take it you weren't  
23 provided with drawings?

24 A. That's correct, yes.

25 Q. Could we please go to

1 your notes of March 11, 2013. Registrar, I  
2 believe that's CIMA 22409. I think this is the  
3 first reference we have to this engagement. It's  
4 a discussion that you note on March 11. I just  
5 want to ask you about a question.

6 Let me see. Yeah. Right.

7 So, on the right column, one, two, three, four,  
8 the fourth item down, I think it says "horizontal  
9 alignment on main." Do you see that?

10 A. I do, yes.

11 Q. Am I transcribing it  
12 correctly?

13 A. Yeah. I think that's  
14 accurate.

15 Q. And there's a note over  
16 top, "accept minimal." What does that mean?

17 A. I'm not sure. I don't  
18 know if it refers to the horizontal alignment on  
19 main or not. Approximate to it, so it potentially  
20 does. It may refer to design --

21 Q. Okay.

22 A. I'm not sure.

23 Q. So, let's, then, go to  
24 your proposal, which is Hamilton 426. Registrar,  
25 can you please turn that document up?

1 THE REGISTRAR: Sorry,  
2 counsel, did you say HAM246 or HAM --

3 MS. JENNIFER ROBERTS: No,  
4 sorry, 426. There we go.

5 THE REGISTRAR: Thank you.

6 MS. JENNIFER ROBERTS: Thank  
7 you. Okay.

8 BY MS. JENNIFER ROBERTS:

9 Q. So, you're setting out  
10 the assignment here and you've got a focus on  
11 three elements: Lighting, signs and markings, and  
12 geometry. Do I understand that as the focus of  
13 this engagement?

14 A. They were aspects that  
15 were going to be examined, yes.

16 Q. Okay. And, again, can we  
17 turn to image 4. So, these are elements of your  
18 investigation?

19 A. Correct.

20 Q. Collision information,  
21 the visibility, sight distance, perception of  
22 alignment to drivers. Am I right in understanding  
23 this item that this is about a driver expectation?

24 A. Yes. It would be linked  
25 to that.

1 Q. Okay. In other words,  
2 that drivers can see and have an expectation of  
3 what's in front of them so that they can react.  
4 Do I have that right?

5 A. That would be one aspect  
6 of it, yes, and there's -- yes.

7 Q. Okay. And I've got --  
8 so, in the design review, there's some specific  
9 elements that you identify here in task 7. In  
10 addition to collision and field reviews, you were  
11 going to undertake a review of basic design  
12 elements, road and lane width, length of speed  
13 change lanes, curve radii, superelevation,  
14 barriers. Do you see that?

15 A. Yes.

16 Q. Okay. All right. And am  
17 I understanding that absent having design  
18 drawings, you're actually not going to be able to  
19 assess what the superelevations are for the road?

20 A. At this stage, in writing  
21 the proposal, the expectation was that that  
22 information would be able to come from CAD  
23 drawings, formal drawings of the facility. You  
24 can assess it in the field with a -- measuring it  
25 in the field, if need be.

1 Q. Right, so the actuals  
2 could have been assessed, but absent having a  
3 design, you can't tell what the superelevations  
4 were intended to be?

5 A. We didn't have the design  
6 drawings, correct.

7 Q. Okay. Let's go forward  
8 to June 6, 2014. Registrar, can you please return  
9 to CIMA 22409 and image 5 this time. So, this is  
10 your note and Ms. Lawrence took you to it  
11 yesterday. So, there are a couple of elements  
12 here.

13 The bottom references a  
14 discussion I think you testified about with Gary  
15 Moore, and I'll come to that, but there's a note  
16 above. We've got Red Hill/Hamilton and it says:

17 "Reduce emphasis on  
18 signing issues."

19 Am I reading that correctly?

20 A. Yes.

21 Q. What does that mean?

22 A. I'm not fully sure, to  
23 tell you the truth. This was internal discussion  
24 at CIMA. Sorry, no. This is the meeting between  
25 CIMA and the City. I don't have a recollection of

1 what it means.

2 Q. Okay. But one of the key  
3 aspects is you're examining signs and markings in  
4 your proposal?

5 A. Correct, and they were  
6 reviewed, yes.

7 Q. So, we don't know what  
8 this reference means?

9 A. I don't have a  
10 recollection of what it means.

11 Q. Okay. And then we have a  
12 discussion with Gary Moore and you testified about  
13 that. He talked to you about the reasons why the  
14 design is as it is, and I think you discussed that  
15 yesterday in the context of lighting in  
16 particular, but it also says, I think, "through  
17 valley"?

18 A. Yes.

19 Q. And does that mean that  
20 he's explaining why the geometry is as it is,  
21 because it's following this creek valley?

22 A. I do think that was part  
23 of the conversation, the overall constraints that  
24 were on design, because the environmental  
25 assessment approvals didn't deal only with

1 lighting. They dealt with a whole range of  
2 issues.

3 Q. Okay. So, just to note  
4 it, I think after this point, you've got both  
5 consideration of the three key aspects, lighting,  
6 geometry and signs, and you've got at least two of  
7 three where you've been told that you can't make  
8 changes. Do I have that right?

9 A. No. I don't read that.  
10 I don't know what the reduce emphasis on signing  
11 issues means in the context of that. I can't  
12 recall it. There certainly was inclusion of  
13 assessment of signing in the report. The note  
14 from Mr. Moore or during the conversation with  
15 Mr. Moore was asking the question about  
16 illumination and his response with illumination X  
17 and being prohibited through the valley.

18 Q. Right, but isn't it true  
19 that as a consequence of that conversation, you  
20 reached the conclusion that you cannot make  
21 recommendations to provide or in relation to  
22 lighting through the alignment and you cannot make  
23 recommendations for changes to geometry?

24 A. The primary conversation  
25 with respect to lighting and the conclusion from



1 the discussion with Mr. Moore was that inclusion  
2 of (audio interruption) freeway, that the scope  
3 was clarified to not included lighting on the main  
4 line, and that issue was -- has been raised in  
5 some of the other discussion.

6 The geometry was not being  
7 reviewed in terms of being checked. It was  
8 reviewed to see what it was and make  
9 determinations about potential impacts that the  
10 assessment and the geometry would have on safety  
11 through the roadway. And so, there was  
12 curvilinear alignment, significant curves, for  
13 example, at the ramps, so all that geometry was  
14 absolutely considered in the assessment.

15 But I agree that changes to  
16 the roadway alignment and therefore its geometry,  
17 my understanding was that that was not part of our  
18 scope either.

19 Q. Thank you. Can we please  
20 turn to the July 3 PowerPoint that you prepared.  
21 I think that's Hamilton 51990.

22 And just so I'm understanding  
23 it, so you're not making changes, but just as you  
24 said, you're still considering geometry in  
25 reference to safety, and I think in this that's

1 pretty clear.

2 So, can we please go to  
3 image 8. So, here, am I understanding this  
4 correctly that this is an assessment of the ramps  
5 through Dartnall, that you're looking at the  
6 length of the speed change lanes as they come on  
7 and off the main line?

8 A. Correct, yes.

9 Q. Okay. And here, there's  
10 a number where you identify that they're shorter  
11 than a typical length?

12 A. Correct, yes.

13 Q. Okay. And when you're  
14 identifying the typical length, and here it's 400  
15 metres, where are you taking that from?

16 A. I would have to go back  
17 and double check the reference. I don't have it  
18 off the top of my head. It would come from design  
19 guidance that exists, particularly the TAC, the  
20 MTO geometric design guide.

21 Q. So, there's two. You'd  
22 either be reassessing it in reference to the TAC  
23 guidance, and I think at that point it's TAC 1999.  
24 Do I have that right?

25 A. That would be correct,

1 yes.

2 Q. And/or the MTO 1985  
3 guide?

4 A. Correct.

5 Q. Okay. Can we please go  
6 to the next image. So, here, it's again Dartnall  
7 3, 4 and 5 continued. There's an alignment  
8 discontinuity identified in the field that's not  
9 shown in the design drawings.

10 When you say not shown in the  
11 design drawings, what are you referring to?  
12 Because there aren't any design drawings. Or do  
13 you have some at this point?

14 A. No, I don't think we have  
15 design drawings. We have aerial photos.

16 Q. Perhaps could we turn to  
17 image 11. Is this the kink that you referred to?

18 A. Yes. There's a small  
19 section of piece at the apex of the curve on the  
20 most southerly portion of the roadway between the  
21 two curves where the road runs tangent, and that  
22 was observed to be a fairly short section of  
23 tangent road between two very large curves.

24 Q. So, instead of making the  
25 curve continuous, they straightened what should be

1 the apex of the turn?

2 A. It appeared to be that  
3 way based on the field investigation and the  
4 review of the aerial photos.

5 Q. Okay. And that would  
6 be -- so, instead of a driver being able to follow  
7 a turn around, you've effectively got it  
8 straightened in the middle of what should be a  
9 curve section, so that would be a violation of  
10 driver expectation, wouldn't it?

11 A. It has the potential to  
12 be, yes.

13 Q. Okay. Can we please go  
14 back to 9 again?

15 A. Can I just request that  
16 the image be reduced again? It's just being  
17 blocked by the video.

18 Q. Okay.

19 A. That's good. That's  
20 fine.

21 Q. Okay. You're identifying  
22 potential countermeasures and this is install  
23 warning signs for atypical geometry for ramps.  
24 What do you mean there?

25 A. The ramps in some cases,

1 as noted, were identified as being shorter than  
2 would ideally be preferred, and so additional  
3 information provided to motorists of the warning  
4 of the presence of on-ramps would be beneficial.  
5 It was one of the recommendations we included.

6 Q. Okay. Can we please turn  
7 up image 10. So, again, this is Dartnall. So,  
8 you identified the signage in the prior image.  
9 Here, are you proposing to extend the speed lane  
10 changes?

11 A. I think what was done in  
12 this case was an analysis of what potentially  
13 could occur if you were to do that.

14 Q. I see.

15 A. I don't think this should  
16 have been included in the presentation personally,  
17 but I'm not sure how it got into it, but we  
18 wouldn't normally have recommended a change to the  
19 extension of the on-ramps because physically  
20 that's not possible on the highway.

21 Q. Okay. And image 13,  
22 please. So, again, this is Mud and, again, I  
23 think you're identifying -- wait a second. Yes,  
24 speed change lane, extend speed change lane from  
25 210 to 400.

1                   A.    If I could comment on the  
2    content.

3                   Q.    Yes.

4                   A.    At this stage, these are  
5    potential countermeasures, so it's essentially a  
6    shopping list of possible items that theoretically  
7    could be applied, with an extension of the  
8    discussion relating to them, examining what the  
9    potential cost and benefit might be.  So, it's a  
10   theoretical discussion about a range of  
11   countermeasures.

12                   So, for the issues identified,  
13   here are a number of things that have some  
14   theoretical potential for improvement and some,  
15   like installing PRPMs, have a benefit-cost ratio  
16   exceeding one, so they would potentially be  
17   viable.  Others, like extending a speed change  
18   lane, would have a benefit-cost ratio which is in  
19   below one, and therefore not as viable.  But the  
20   exercise is to review them all, put them all on  
21   the table and have that discussion, so it's a -- I  
22   won't say -- I will say academic exercise.  It's  
23   to go through the overall review so you can  
24   contemplate what could be considered and then  
25   exclude ones that don't make logical sense.

1 Q. So, let me just stay on  
2 that point, I understand that. Later in 2015,  
3 though, you identified driver behaviour as being,  
4 this is my word, not yours, being aggressive  
5 coming on to the main line because of a perception  
6 that merging lanes are short. And isn't what  
7 you're finding here that, at least in these  
8 locations, the merging lanes, the acceleration  
9 lanes, are short?

10 A. Well, I'm not sure we  
11 defined it as being aggressive. I think our --

12 Q. No, my word. I agree.  
13 But people were forcing their way on the main line  
14 because there was a perception that the  
15 acceleration lanes were short. And what I'm  
16 suggesting to you here, sir, is that in fact your  
17 finding is that at least in these Mud and the  
18 Dartnall interchanges, and we'll come to the  
19 others later, that they are short?

20 A. They're shorter than an  
21 ideal dimension, yes. The interchanges overall on  
22 both the LINC and the Red Hill are relatively  
23 closely spaced, and some of that is partly  
24 respecting the posted speed on the roadway at the  
25 time, which was 90 kilometres an hour instead of a

1 higher operating speed.

2 Q. Right. Can we please  
3 turn to image 19. So, this is one of the ramps on  
4 Mud Street. You've defined it as ramp 6, which,  
5 as you're going -- how does this work? So, this  
6 is a ramp to go on to the southbound lane?

7 A. Correct.

8 Q. Main line?

9 A. Yeah, towards the LINC.

10 Q. Okay. And in your  
11 analysis, collisions that occur on this ramp  
12 represent 65 percent of all ramp collisions?

13 A. That was correct. Sorry,  
14 at the interchange. Yes, I believe at the  
15 interchange.

16 Q. So, the accidents are  
17 happening as people are coming out of the ramp.  
18 Is that what you mean?

19 A. No, no. What I'm saying  
20 is that it's 65 percent of all the ramp collisions  
21 at the Mud Street interchange. That was my  
22 understanding.

23 Q. Okay. And we talked  
24 about this yesterday. All you're dealing with is  
25 some -- is in this section is, I guess, Mud and



1 Dartnall?

2 A. Yes. And there are other  
3 ramps approximate to this. There's the ramp that  
4 goes northbound, for example.

5 Q. Sorry, 65 percent of all  
6 ramps collisions, is what it says. Are you saying  
7 65 percent of ramp collisions only on the Mud  
8 Street interchange?

9 A. I thought that was the  
10 case, yes.

11 Q. Okay. And you're going  
12 on what you remember? Because you can't see that  
13 from what you've written.

14 A. I would have to review  
15 the document to verify.

16 Q. Okay. And you describe  
17 this as a curve radius below typical design  
18 depending on the existing superelevation. Can you  
19 explain what you mean by that?

20 A. Well, we didn't have the  
21 detail on the superelevation, and so we were able  
22 to determine a radius based on the aerial photos.  
23 The relationship -- there is a relationship  
24 between the radius of the curve and  
25 superelevation, which is provided in the curve, in

1 order to determine what its design parameters  
2 should be.

3 So, we knew that the radius  
4 was below the typical design, but it would depend  
5 on what superelevation had been applied to the  
6 ramp as to whether or not that was within an  
7 appropriate range.

8 Q. Right. So, this is part  
9 of the Stantec design, so that is 6 percent, that  
10 ramp, is its design superelevation. Would that be  
11 correct for a ramp of that tight radius?

12 A. I wouldn't be able to  
13 offer an opinion on that at this moment. I would  
14 have to review it and properly assess it.

15 Q. Fair enough. Later on  
16 you describe the geometry for ramp 6 as atypical  
17 and, in other instances, you say ramp 6 is unique  
18 in characteristics. Do you want to explain a  
19 little bit about ramp 6 and why it is unique,  
20 atypical?

21 A. Well, the most unique  
22 feature of it is the amount that it turns, so it's  
23 a 270-degree turn. 360 degree would be a full  
24 circle, so you're turning 270 degrees of a circle.  
25 So, most ramps, as you can see on the photo, don't

1 require that total amount of turning. Many ramps  
2 don't. So, in this location, this is the ramp  
3 with the greatest amount of curvature.

4 Q. And was it the extreme  
5 curvature that you considered as contributing or  
6 correlative to the high number of accidents?

7 A. Well, the extended amount  
8 of curvature that is there is one of the factors  
9 that likely contributes to crashes on the ramp,  
10 because drivers may not anticipate that the ramp  
11 is going to continue to curve for that entire  
12 distance and lose their way as they travel through  
13 it.

14 Q. Okay. And I'm  
15 anticipating that, you know, in darkness and in  
16 wet conditions, that the challenge of that tight  
17 radius turn becomes even more acute?

18 A. Yeah. I think that's a  
19 fair assessment.

20 Q. Okay. I want to go to  
21 overview document 3.1. And, Mr. Malone, in  
22 preparing for today, did you have an opportunity  
23 to look at overview chapter 3.1?

24 A. Briefly, but not in much  
25 detail, no.

1 Q. And did you have an  
2 opportunity to look at any of the drawings?

3 A. As part of my preparation  
4 for this testimony?

5 Q. Yes.

6 A. No.

7 Q. Okay. It's surprising,  
8 sir. I rarely run into an engineer who can't wait  
9 to get to drawings. Sorry.

10 A. A lot of material to  
11 review.

12 Q. No, no, absolutely. Fair  
13 enough, totally. Then I won't belabour them.

14 Could we please turn to  
15 image 7. And this is summarized here in  
16 paragraph -- sorry, 6, I guess I need first.

17 So, we were able in  
18 production, both Hamilton and Dufferin produced  
19 documents and Hamilton ultimately found its  
20 preliminary design report, which was initially  
21 prepared 1990 and then revised 2003 and it looks  
22 as though there's a further revision in 2006.

23 But I just want to point out  
24 in paragraph 12 that the November 2003 preliminary  
25 design report provided that the Red Hill would

1 have a design speed of 100 kilometres per hour,  
2 and I think your assumption in your analysis was  
3 that the design speed would have been 110  
4 kilometres per hour?

5 A. I'm not sure we made that  
6 assumption fully or not. We didn't have the  
7 design drawings or the details as to what the  
8 design parameters were. I think we were able to  
9 make some inferences of what design speeds may  
10 have been or would be for the roadway based on the  
11 ability to measure radiuses of curves from aerial  
12 photos. But, as I said, as has been noted, we  
13 didn't have full information with respect to  
14 superelevation as a factor in determining what the  
15 design speed might have been.

16 Q. Right. So, if you read  
17 the quotation here, it says:

18 "The design speed of the  
19 north-south section is  
20 100 kilometres per hour.  
21 This speed has been set  
22 based on the topography  
23 and spacing of  
24 interchanges. The posted  
25 speed is 90 kilometres

1 per hour and while a  
2 reduction of the posted  
3 speed would likely raise  
4 traffic operational  
5 concerns, strict  
6 enforcement of speed  
7 limit for trucks is  
8 recommended for safety  
9 reasons in view of the  
10 curvilinear alignment and  
11 the current practice of  
12 any truck drivers to  
13 exceed the posted speeds,  
14 consistent rate of  
15 enforcement may be  
16 considered."

17 I was interested by this  
18 because it looks to me that there's an  
19 appreciation from the beginning here of the safety  
20 concern arising from the curvilinear alignment. I  
21 take it that you agree with the fact that a  
22 curvilinear alignment raises challenges that has  
23 implications for the safety of the roadway?

24 A. Any curvilinear alignment  
25 requires greater input from drivers as they travel

1 on the road, and therefore it has the potential to  
2 have more safety concerns. It's not automatically  
3 the case, but it just becomes the reality, that a  
4 curve in the road requires a driver to turn the  
5 steering wheel and, therefore, there's greater  
6 input from the driver and potential for error.

7 Q. Can we please turn to the  
8 next image, 14. I'm going to take you to it just  
9 so that I think it probably fills in some gaps for  
10 you.

11 So, the geometry for the Red  
12 Hill was described in a table in the preliminary  
13 design report of 2003 and it provided for a  
14 maximum superelevation of 0.06, maximum grades of  
15 4 percent and a minimum radius turn of 420 metres,  
16 posted speed, 90 kilometres per hour. I take it  
17 it's obvious, sir, that that information would  
18 have been of help to you when you were doing your  
19 analysis in 2013 and 2015?

20 A. It would have been  
21 helpful to have it, certainly.

22 Q. And later, in your 2015  
23 report, you identify the tightest turn as 525  
24 metres in radius. And that's not correct and we  
25 know now that's not correct. When you estimated

1 that 525, how did you do that?

2 A. My recollection is that  
3 it was from two potential sources. One was aerial  
4 photos and the other was we had received some  
5 drawings that showed the overall alignment of the  
6 roadway and we attempted to determine radius based  
7 on those.

8 Q. Okay. Can we please turn  
9 to image 13. Can you please, Registrar, call up  
10 the drawing at the top. A little smaller than  
11 that. Mr. Malone, can you see that okay?

12 A. I can, yes.

13 Q. So, this is section or  
14 part B to the Red Hill Valley Parkway and the  
15 evidence is that this section was designed by  
16 Philips. As your 2015 report focuses on, my  
17 understanding is that this is the area of the  
18 parkway with the greatest number of accidents  
19 along the alignment?

20 A. That's my recollection,  
21 yes.

22 Q. Okay. And I just want to  
23 point out a number of things. So, if you're  
24 assuming we're driving northbound, you've got this  
25 fairly long almost tangent section as you come



1 down from the escarpment and then the first turn  
2 you hit before King is a 420-metre radius turn?

3 A. Yes.

4 Q. Do you see that?

5 A. Yes.

6 Q. Okay. And then as you go  
7 past King, you've got another one, 450, which is  
8 also very tight, and then you go into 690 and 525,  
9 so you've got four turns in a row that are fairly  
10 tight. Would you agree with that?

11 A. Quite tight, I assume you  
12 mean in close proximity to each other?

13 Q. No, I mean the radiuses  
14 are -- well, both. Close proximity but also each  
15 of those radius turns is quite a tight turn in and  
16 of itself?

17 A. The term is relative.  
18 They're curves, not straight alignment, and they  
19 would require driver input and, in the orientation  
20 you described, the first curve is the most severe  
21 of the four, the radius being the minimum amount,  
22 the smallest amount.

23 Q. So, Tom Klement of the  
24 MTO, when he testified, described that a sequence  
25 of turns is broken-back turns. Is that a phrase

1 that you're familiar with?

2 A. I've heard it. I don't  
3 use that term. I use reverse curves. There's a  
4 series of reverse curves, two pairs of reverse  
5 curves.

6 Q. Is my rudimentary  
7 understanding of safety issues, is it true -- let  
8 me rephrase this.

9 The first turn, as you come  
10 from northbound and you're going down that long  
11 tangent and then you come to the 420-metre radius  
12 turn, does that create challenges for driver  
13 expectation?

14 A. The presence of a curve  
15 means, as I noted, that there's a requirement for  
16 driver input, which is a change from what they  
17 were doing on a straight tangent section of  
18 roadway. And so, if the driver is not expecting  
19 the curve, then yes, it could present challenges  
20 for driver expectation.

21 Maybe a better way to word it  
22 is driver workload. And from a safety  
23 perspective, what we tend to identify are  
24 locations where driver workload changes, so on a  
25 straight, flat tangent section of roadway, the

1 workload is relatively light. You don't need to  
2 do very much to maintain your position in the  
3 lane, your speed, your alignment, because you  
4 don't need to steer. As roadway alignment changes  
5 with curves, as the roadway alignment changes with  
6 vertical curves as well as horizontal curves and  
7 as the environment changes with on-ramps or  
8 off-ramps, merging traffic, that increases the  
9 overall workload in the location that would be  
10 required for motorists, and where driver workload  
11 is elevated, there's a potential for safety issues  
12 to be a greater concern.

13 Q. Okay. Thank you. And  
14 just on that issue of workload, not only do we  
15 have those four turns, but we also have  
16 interchanges that are quite close to one another.  
17 So, if you see King Street and Queenston, there is  
18 not much distance between them. I think it's 800  
19 meters or something?

20 A. Yeah. They're relatively  
21 close to each other.

22 Q. Okay. And then Queenston  
23 to Barton, a little bit longer. Okay.

24 I want to go to Dufferin 2535,  
25 image 26. Actually, let me just ask a question.

1 Sorry, can you just stay there for two seconds?

2 We talked about driver  
3 workload. Do you take into account the cumulative  
4 effect of these geometric features in your safety  
5 evaluation?

6 A. If you mean cumulative  
7 being that there's multiple curves, four curves in  
8 a row, is that what you're referring to or --

9 Q. Four curves and we'll get  
10 to it in detail, and the tight interchanges so  
11 that you're going to have people coming on and  
12 coming off in those areas, so not only do you have  
13 turns, but you've got incoming and outgoing  
14 traffic along there at the same point as you're  
15 navigating the turns?

16 A. Yeah. Workload isn't a,  
17 you know, a binary measure on or off. It has a  
18 relative -- would have a relative amount to it.  
19 So, workload for proceeding through a curve is  
20 increased from proceeding on a tangent, but if you  
21 compound that by adding in merging traffic and the  
22 necessity to maintain your speed because you're  
23 proceeding in a downhill direction and you may  
24 need to manage your speed, monitor your speed  
25 differently because of that condition, then yes,

1 the overall workload would have been increased.

2 But keep in mind or consider  
3 that driver workload is constantly fluctuating.  
4 It's moving. If the person in front of you  
5 brakes, your workload increases, and so if you  
6 have congestion conditions, that also is a feature  
7 that can alter workload. It has nothing to do  
8 directly with geometric design, but is one of the  
9 workload inputs that needs to be considered.

10 So, a process that's sort of  
11 thought about or utilized is to consider what  
12 workload is as you move through an environment, as  
13 you proceed through the roadway. Lower,  
14 increasing, decreasing, increasing again and so on  
15 and so forth, and multiple things would increase  
16 workload, more at some spots, multiple factors, I  
17 guess I would say, would increase workload more at  
18 some locations than others.

19 Q. Got it. Okay. Thank  
20 you. Can we turn, please, Registrar, to Dufferin  
21 2535, image 26.

22 So, Dufferin, who is a  
23 participant in this inquiry, was able to locate  
24 their issued-for-tender drawings and then Hamilton  
25 subsequently identified and found the

1 issued-for-construction drawings. For the  
2 purposes of the analysis, I'm going to stay with  
3 the issued-for-tender drawings, and the evidence  
4 is that there's not -- there are not materials  
5 changes between the two versions, just to give you  
6 that explanation, sir.

7                               So, here we are -- Registrar,  
8 can you just go to the small map at the top  
9 briefly and call that out. There we go. Can you  
10 bring that down. Smaller than that. Smaller than  
11 that. Okay.

12                              So, this in the corner just  
13 identifies where this drawing is on the longer  
14 alignment. Do you see that, sir?

15                              A. Yes, I do.

16                              Q. Okay. Okay. You can put  
17 that -- take that callout away. Thank you. Okay.

18                              So, this is the first turn  
19 going into the sequence of four, where we've got  
20 the tightest geometry?

21                              A. Depending which direction  
22 you're going in, yeah. If you're southbound --

23                              Q. Fair enough. I'm making  
24 the assumption for the purposes of this and I'm  
25 trying to stay consistent in the same direction,

1 Mr. Malone, but if I move to the other, I'll tell  
2 you.

3 So, this is the first turn  
4 and, as you come, you've got to turn to the -- if  
5 you're going northbound, you're turning to the  
6 right, you've got the tightest radius turn and  
7 you've got a ramp going off and that's King  
8 Street?

9 A. Yeah. You're just coming  
10 out of the curve that you identified, the first  
11 curve after the -- proceeding down the hill.

12 Q. Right. Can we please go  
13 to the next image. Okay. And now I am going to  
14 take you to the southbound.

15 So, one of the points you  
16 raised is the challenge of the on-ramps on the  
17 turns. We can go back to it, but you identified  
18 it -- well, you identify it in the 2013 and we'll  
19 go to it in a minute.

20 But can you just take me  
21 through some of the challenges of this ramp on to  
22 the main line? So, this is King Street ramp on to  
23 the main line in the southbound direction?

24 A. Okay. I'm not sure I  
25 understand what you're asking.

1 Q. So, we'll go to it. I  
2 just thought it would be easier for you to look at  
3 it from the drawings, is that if you're coming off  
4 this ramp at King Street on to the main line,  
5 you're coming on to the main line on a curvature?

6 A. Correct, yes.

7 Q. Okay. And can you  
8 explain what the effect of that is for a driver?

9 A. Well, in the description  
10 I provided earlier, you're entering the highway,  
11 so there's a necessity to adjust your speed of the  
12 vehicle to bring it up to the highway speed from  
13 the local road speed and/or whatever speed you had  
14 to traverse the ramp at. There is a necessity to  
15 merge into the highway, into the main lines of the  
16 roadway, from the entrance lane, the ramp lane,  
17 from the on-ramp. And there's also necessity to  
18 maintain your alignment in the overall alignment  
19 of the highway, which is, in this case, southbound  
20 turning to the right.

21 So, there's a right-hand  
22 curve, southbound, there's an on-ramp, which would  
23 require a speed adjustment, and there's a merge  
24 manoeuvre because the ramp ends at some point  
25 downstream that you must then find an opportunity



1 to merge into traffic. So, all of those elements  
2 combine to create a driver workload at the  
3 location.

4 Q. And the fact that it's on  
5 the curve, that would affect the sight distance  
6 that a driver would have coming off the ramp,  
7 would it not?

8 A. Because of the alignment  
9 of this particular curve --

10 Q. Yes.

11 A. -- southbound, we're  
12 talking?

13 Q. Yes.

14 A. Yes. The view to, as you  
15 reach the end of the ramp, the bullnose of the  
16 ramp, and you start to make your decision-making  
17 process to enter, your visibility is slightly more  
18 challenging than if the ramp, the highway, was  
19 straight. So, yes, it's slightly elevated.

20 Q. Okay. And turning your  
21 attention to the north side of the alignment now,  
22 we've got, again, the ramp onto, from King Street,  
23 onto the main line. Do you see that?

24 A. We're talking northbound  
25 lanes now?

1 Q. Northbound now.

2 A. Okay, yes.

3 Q. Okay. Can we please go  
4 to the next image. So, this is just one down.  
5 So, in this instance, we've got -- this is the  
6 main line just north of the King Street  
7 interchange and we've got three lanes on the  
8 northbound direction because one of them is a  
9 weaving lane. Am I calling that the correct --  
10 have I got that correct?

11 A. Well, yes, it's a weaving  
12 lane. It's an on-ramp on the left side of this  
13 image and an off-ramp on the right side of this  
14 image, and they're crossing into each other. The  
15 lane has simply been continued, essentially  
16 merging the on-ramp and the off-ramp. Some  
17 traffic may use that lane all the way through, so  
18 never have to actually weave or merge into  
19 traffic. Other motorists would be going further  
20 to the north, and therefore would need to weave,  
21 merge into traffic, and similarly northbound  
22 traffic that had not come from King Street would  
23 also have to weave or merge into the exit lane in  
24 order to get off, potentially. It's a dual exit,  
25 as I recall, at Queenston as well.

1 Q. Just to complete the  
2 thought, if we go to the next image, you can see  
3 the exit ramp to Queenston. There we go.

4 A. Yeah.

5 Q. So, that weaving lane,  
6 then, goes into part of the two lanes that are  
7 provided for exiting on Queenston. Do I have that  
8 right?

9 A. The lane that was on the  
10 bottom of the previous image is -- becomes an exit  
11 lane.

12 Q. Right.

13 A. If you stay in it, then  
14 you will exit the highway. The middle of the  
15 three lanes is an optional lane. One of them  
16 would be you can select to go exit on to the dual  
17 exit ramp or you continue northbound.

18 Q. And I want to go next to  
19 your 2013 report, but I take it -- I'll leave it.  
20 So, sorry, we'll come to it in the 2015 report.

21 So, I take it that the  
22 compression of the entrance and the exit between  
23 these two interchanges puts significant demand on  
24 drivers who are trying to get off or trying to get  
25 on the main line?

1                   A.    It puts an increased  
2 demand from an ultimate design that wouldn't have  
3 it or a different layout of a different highway,  
4 so it's different and I would agree that it's an  
5 elevated workload for drivers based on the number  
6 of elements that are present.

7                   Q.    Okay. Thank you,  
8 Registrar. You can take that down. I want to go  
9 to your 2013 report, which deals with the more  
10 southerly portion, that Mud Street and Dartnall.

11                   Registrar, can you please turn  
12 up Hamilton 41871. There we go.

13                   And, just to confirm, sir, I  
14 believe this is the final version. This is  
15 your -- we've got it coded, B325?

16                   A.    B is the project  
17 number and I believe it says E05 on the bottom,  
18 underneath the date.

19                   Q.    Okay. And so, do I have  
20 that right that this is the final report?

21                   A.    This is the last one that  
22 was sent to the City for (indiscernible), yes.

23                   Q.    Okay. And so, jumping  
24 around a little bit, Registrar, can you please  
25 turn up page -- sorry, image 38. This is not the

1 right one. Sorry, bear with me. I've got the  
2 wrong page here.

3 It's page 27, so I think  
4 that's 11. Sorry to do this to you, Registrar.  
5 It's page 27. I thought that it was 38, but it's  
6 not. Image 39. I apologize for being such a  
7 dinosaur that I actually use paper and the source  
8 of the confusion. Forgive me.

9 Okay. So, I just want to go  
10 to this point because in here you make a  
11 specific -- you talk about restricted sight lines  
12 for merging traffic on Dartnall 4 and you say:

13 "On-ramp merge is located  
14 within a horizontal curve  
15 in the main line and  
16 vehicles northbound on  
17 the main line and  
18 upstream may not be  
19 easily visible from the  
20 vantage point of a  
21 merging driver given the  
22 curvature of the road and  
23 the angle of approach,  
24 which creates a large  
25 blind spot."

1                   So, when I took you to the  
2 drawings of the King Street interchange as an  
3 example, I take it, am I right in understanding  
4 this report that this is an example in the 2013  
5 report of exactly the challenge of an exit on to a  
6 curvature?

7                   A.    Yeah.  Yes.  I think that  
8 that's what it's identifying.  I would use the  
9 terminology I did before, which is that it's a  
10 location where there is some elevated workload for  
11 drivers and I think I would supplement it a little  
12 bit by saying if a driver's habit is to enter the  
13 highway at the very beginning, the very initial  
14 opportunity that occurs at the end of the ramp and  
15 not utilize the full acceleration lane, that's a  
16 location where the visibility may be more  
17 difficult than it would be in other circumstances  
18 that they would experience and, therefore, an  
19 elevated driver workload and potential issue to  
20 pay attention to from a safety perspective.

21                  Q.    Okay.  And just to  
22 complete the thought on that, drivers who will  
23 have a sense of trying to merge as quickly as they  
24 can if they have a perception that the  
25 acceleration lanes are short.  Is that not true?

1 A. Not necessarily.

2 Q. Okay.

3 A. The driver may not know  
4 how long the acceleration lane is when they enter  
5 the facility, so it's not posted or defined for  
6 them as they arrive. They may know it based on  
7 experience and, therefore, that may influence  
8 their behaviour. They may also have a behavioural  
9 pattern themselves of entering at the very  
10 beginning or utilizing the full length of the  
11 acceleration lane. So, there's a wide range in  
12 variation of driver behaviour, so I'm not sure I  
13 agree that it automatically means it's  
14 problematic. There's a significant variation as  
15 to how drivers will interact with it. The overall  
16 conditions has elevated driver workload because of  
17 the components that we described, and that  
18 combination means that, you know, some drivers may  
19 experience conditions that are different than what  
20 they normally experience. Higher driver workload,  
21 greater potential for error.

22 Q. Okay. Can we please turn  
23 to image 28. Page 17, image 28. There we go.

24 So, you gave evidence on this  
25 yesterday just about using the tool, a predictive

1 tool of a safety analysis using enhanced  
2 interchange safety analyst tool, ISATe. Do you  
3 remember that?

4 A. Yes.

5 Q. You've got two tables in  
6 the 2013 report that I think are important and I  
7 want to get your explanation on.

8 So, we've got a predictive  
9 number for accidents and expected. If I  
10 understand, predictive is, like, how many  
11 collisions would happen on each segment if it were  
12 to perform at a normal safety level?

13 A. That's not exactly  
14 correct. It's if it were -- it's in comparison to  
15 the peers, to the entire group. So, what we're  
16 looking at is the overall expectation or the  
17 overall prediction of what would occur and then  
18 comparing what we would normally expect to see in  
19 numbers of collisions in the individual sections.

20 Q. Okay. And so, it's  
21 exactly that that I want to dig into. Because  
22 when I look at the predicted, you've got fairly  
23 high rates in a number of instances of predicted  
24 collisions, and so I want to understand better and  
25 get your evidence about what goes into a predicted



1 number.

2                                   When you contemplate a  
3 predicted number, are you contemplating -- well,  
4 let me ask this differently. What factors do you  
5 take into account in developing a predicted  
6 number?

7                                   A. This methodology uses a  
8 mathematical analysis called empirical Bayes  
9 analysis and what it attempts to do is to  
10 determine numbers of collisions that could occur  
11 on a roadway based on both what's actually  
12 happening and the long-term performance, the  
13 long-term history, that's there.

14                                   The purpose of it is to try to  
15 eliminate any short-term deviations, regressions,  
16 away from the mean, the norm, that tend to occur.  
17 Collisions have a relatively random component to  
18 them, and so you have to be careful to not just  
19 look at a short-term period of time, two years,  
20 five years' worth of data. You want to look at a  
21 long-term history and make sure you factor that  
22 in. Just because there's been a blip in number of  
23 collisions, an increase in number of collisions  
24 over a fairly short period of time, doesn't mean  
25 that the location is necessarily problematic. You

1 want to look at the long-term performance.

2 Q. Okay. I understand over  
3 time, but are you not also taking into account  
4 factors such as a geometry in your predicted  
5 number?

6 A. And the length of roadway  
7 itself, yes.

8 Q. Okay. And so, for  
9 instance here, if you look at -- these are  
10 freeway, so this is intended to be an assessment  
11 of tangent sections. What's the freeway segments?

12 A. They're the main line  
13 segments --

14 Q. Main line segments, okay.  
15 So, you've got a number for Mud 6 of 51 predicted  
16 collisions, for instance. How do you come up with  
17 that number?

18 A. I should double check.  
19 I'm not sure if this is including the ramps and  
20 the main lines or not.

21 Q. Well, the second one is  
22 just the ramps.

23 A. It's the second --

24 Q. If we turn to the next  
25 page, the next image.

1                   A.    This is the main line  
2 sections adjacent to or in proximity to Mud 6.

3                   Q.    Right, so this is the  
4 ramps.  Let's go back to the prior image.

5                   A.    Yeah.

6                   Q.    Okay.  Can you give us  
7 some understanding as to what you take into  
8 account in identifying the predicted number?

9                   A.    Well, as you said,  
10 proximity to -- it defines a location and what is  
11 proximate to is it considered.  So, the amount of  
12 collisions that are occurring would be expected to  
13 be higher in a location where there's an on-ramp  
14 or an off-ramp present because there's merging  
15 activity that occurs at those locations.

16                   The other factor which comes  
17 into play, however, is also simply the history of  
18 the location.  So, if there have been -- if it's a  
19 location where congestion occurs, then there would  
20 be collisions resulting from rear-end crashes into  
21 standing queues of traffic, then that results in a  
22 higher value.

23                   Q.    So, isn't it the expected  
24 number that gives you the history, because that's  
25 part of the equation that gives you the historical

1 crash records at that location?

2 A. Yes, correct.

3 Q. Okay. And so, when  
4 you're coming up with predicted, you're looking at  
5 location in anticipation because of the challenge  
6 of that location, which takes into account lanes  
7 and curvature and other geometrical factors. Is  
8 that not correct?

9 A. It is, and, again, how  
10 that location has actually performed.

11 Q. And maybe I'm being too  
12 simple here, but do I take from this analysis of  
13 predicted numbers that Hamilton should  
14 realistically have an expectation that on this  
15 segment, they would have fairly high collision  
16 rates?

17 A. Correct, yes.

18 Q. Okay.

19 A. Well, I'm not sure that's  
20 a fair way to term it. It's an analysis to  
21 understand what is occurring at the location and  
22 provide appropriate context to it so that you  
23 don't simply look at the pure numbers of the pure  
24 frequency of collisions. So, it's not as though  
25 there's a plan to have collisions at the location.

1 So, I just want to clarify that term because --

2 Q. No, I understand that.

3 But in terms of your anticipation of what would  
4 likely occur in a location, the predicted  
5 number indicates that at these locations, you are  
6 more likely than not to have a higher number of  
7 accidents?

8 A. Correct.

9 Q. Is that correct?

10 A. Yes.

11 Q. Okay. Can we go to the  
12 next image, please. Am I reading this table 7 is  
13 just focused on collisions for ramp segments?

14 A. Correct, yes.

15 Q. Okay. And so, if we look  
16 at the infamous ramp 6, where is it? There it is.  
17 So, that has a predicted number of 23.3 collisions  
18 and an expected of 37, so historically, you have  
19 more accidents here than you would have predicted.  
20 Do I understand that correctly?

21 A. I'm sorry, could you  
22 reword that again or restate it, please?

23 Q. I'll do exactly that.

24 So, you've got predicted of 23.3 and expected  
25 collisions of 37.1, and do I interpret that to

1 mean that you have got in fact a higher number of  
2 actual collisions than you would have predicted at  
3 the location?

4 A. Correct.

5 Q. Okay. And then your  
6 analysis is to try and figure out why that would  
7 be and what you can do to reduce that number?

8 A. Yes, but I would add the  
9 context to it is the purpose of this exercise,  
10 which is a mathematical exercise of looking at the  
11 collision information is to flag locations that  
12 are statistically anomalies, that are not what you  
13 would expect as opposed to just looking at pure  
14 numbers of collisions. So, it's a better way of  
15 digging through the collision records and the  
16 quantity of collisions and it's a more robust way  
17 of ensuring that in fact there is a problem here  
18 that is different and verified from a statistical  
19 perspective.

20 Q. And once you identify a  
21 problem, then I take it, Mr. Malone, that CIMA  
22 would engage in the question of what steps can you  
23 take, can you as owner, I mean, take in order to  
24 reduce that number of collisions?

25 A. Yes, and I would sort of,



1 Q. So, you're trying to get  
2 rid of the anomalies. Right?

3 A. You're trying to identify  
4 the anomalies and you're trying to quantify the  
5 variation from what is statistically will be  
6 expected, and then that assists in flagging which  
7 locations have the greatest potential for  
8 improvement. And it serves two purposes. It  
9 identifies specific locations but it also  
10 potentially identifies types of locations, so  
11 there may be similarities between locations that  
12 are red flagged if you look at the list as opposed  
13 to just, you know, location A location B. All  
14 locations of a certain type may have a feature, an  
15 element, from which benefit could be found if you  
16 were to be able to apply it.

17 Q. Okay. That's very  
18 helpful. Thank you. Can we please turn to  
19 image 2. This is the second page of the report.  
20 It identifies the project team and this particular  
21 report does not have signing lines. And,  
22 Mr. Malone, is it sometimes CIMA's practice to  
23 deliver final reports that do not have the  
24 signatures of the authors?

25 A. Our practice changed over



1 time. I'm not exactly sure if we were not signing  
2 reports at this time, but our standard, our  
3 approach, has been to return to that or to provide  
4 that.

5 Q. Sorry, I didn't  
6 understand what you just said. So, in this  
7 instance, I take it you agree with me that this is  
8 a final report, notwithstanding its not signed?

9 A. This was consistent with  
10 what was being done at the time, yes.

11 Q. That is, CIMA was  
12 delivering final reports that were not necessarily  
13 signed?

14 A. Correct.

15 Q. Okay. Can we please turn  
16 up overview document 6, image 33. So, this refers  
17 to minutes of a progress meeting of July 3 in  
18 relation to the report that we just looked at, and  
19 I just want to ask you a question on one element  
20 here.

21 It records the following  
22 discussion about friction:

23 "Implementation of  
24 high-friction pavement  
25 countermeasures should

1 not be considered on the  
2 main line due to  
3 specialized nature of  
4 existing pavement and  
5 ongoing monitoring, but  
6 can be recommended for  
7 ramps, if required."

8 And I know Ms. Lawrence took  
9 you to this. What was the source of the  
10 information that you couldn't use a pavement  
11 countermeasure on the main line?

12 A. My recollection was that  
13 it would have come from somebody at the City as  
14 opposed to CIMA. I don't recall who would have  
15 been the person to state it, but I would note that  
16 we were focusing on issues on the ramps, ramp 6 in  
17 particular, as opposed to the main line itself at  
18 this point in the study.

19 Q. Okay. And I think that  
20 -- okay. Thank you.

21 Can we please go to Hamilton  
22 4660. I'm going to take you to the 2015 report.  
23 There we go.

24 So, I take it this is your  
25 proposal for the work for the 2015 report? I

1 think you identify it. Is that true?

2 A. I believe so, yes.

3 Q. Okay. And if we turn to  
4 image 4, and again -- I don't have the right one.  
5 Sorry, can you go back to image 3. There we go.  
6 That's what I'm looking for.

7 So, again, you're taking data  
8 from accidents and you've got historical volume,  
9 you've got data about traffic and you're  
10 identifying you expect to receive the design  
11 drawings.

12 And I take it, sir, that still  
13 in 2015 you don't receive the design drawings?

14 A. Well, I think it's worded  
15 the way it is. We asked for design drawings and  
16 we included the expectation or the anticipation  
17 that we might use aerial photography as an  
18 alternate and, correct, we did not receive design  
19 drawings.

20 Q. Thank you. Can we  
21 please -- sorry, you can take out that callout. I  
22 just want to address the issue of friction  
23 testing, separate direction.

24 In your 2013 report, you,  
25 CIMA, recommended that friction testing be

1 conducted. That's the case, sir?

2 A. That's correct, yes.

3 Q. And I've got -- and I  
4 want to go to overview document 7, image 35. This  
5 is an extract from your notebook, August 5, 2015?

6 A. Correct, yes.

7 Q. And I think this records  
8 a conversation with Gary Moore. Do I have that  
9 right?

10 A. The first part of the  
11 note records the internal conversation with  
12 project staff, discussing the status, where we  
13 were with the report, and discussing our  
14 recommendations. And the bottom part is, as I  
15 highlighted yesterday, part of the notes that I  
16 had completed in conjunction with the discussion  
17 with Mr. Moore, which occurred on August 6, which,  
18 in my diary, this is the bottom of one page and  
19 August 6 starts at the top of the next page and I  
20 had used the space below the, the open space on  
21 the August 5 page, for part of that notation, so  
22 it's a hybrid, is what I'm getting at.

23 Q. Got it. That's great.  
24 And, as I understood your evidence yesterday,  
25 you're recording a conversation with Gary Moore in

1 which he's telling you about the asphalt surface  
2 of the Red Hill?

3 A. Correct, yes.

4 Q. And I think in that  
5 meeting he identifies that skid testing has been  
6 conducted?

7 A. I believe he does state  
8 that, because the follow-on, the day after, a  
9 couple days after, is when he provides me with the  
10 e-mail with some attachments.

11 Q. Okay. And let's go to  
12 that. That's CIMA 10018.

13 So, after that discussion in  
14 which he identifies the fact that friction testing  
15 has been done, he then sends you testing done by  
16 MTO in 2007 and this e-mail, which has additional  
17 information. That's correct?

18 A. He sent me the --  
19 forwarded the e-mail from Dr. Uzarowski.

20 Q. Right. And I just want  
21 to identify here. And I know Ms. Lawrence took  
22 you to this, but if we go through where we've got  
23 a chart and below it and it says below:

24 "In 2013, the friction  
25 numbers were measured on

1 the Red Hill Valley  
2 Parkway in both  
3 directions by Tradewind  
4 Scientific using a grip  
5 tester. The average FN  
6 numbers are as follows."

7 And they're listed: 35, 34,  
8 36, 39. And I was puzzled by your evidence. When  
9 I read this, it looks as though that Hamilton has  
10 in fact exactly done as CIMA recommended and  
11 obtained the friction testing that CIMA  
12 recommended?

13 A. I didn't interpret it  
14 that way. I asked Mr. Moore for some  
15 clarification about the content and he provided me  
16 with a clear indication that, I think his words  
17 were, both times testing was done by MTO.  
18 Tradewind Scientific did not mean anything to me  
19 at the time.

20 Q. So, but here, you'll  
21 agree with me that you've got an e-mail from a  
22 consultant in Ontario. He's forwarded it to you,  
23 Dr. Uzarowski's e-mail?

24 A. Yes.

25 Q. And you've got contact

1 information for that expert?

2 A. Yes.

3 Q. And I take it, sir, that  
4 you didn't make any effort to contact  
5 Dr. Uzarowski for an explanation of the Tradewind  
6 data?

7 A. No. I received  
8 clarification from Mr. Moore that both of the  
9 testing, both the testing groups that were done,  
10 in 2007 and 2013, were done by the Ministry of  
11 Transportation. And our recommendation to the  
12 City is that the City should consider friction  
13 testing, undertaking friction testing, that the  
14 City should undertake it, and Mr. Moore confirmed  
15 for me that the Ministry had -- these were results  
16 from Ministry testing. And so, in my view, the  
17 action that we had included in our report had not  
18 been undertaken by the City, which was for the  
19 City to do friction testing.

20 Q. So, notwithstanding that  
21 Dr. Uzarowski writes there's friction testing done  
22 by Tradewind, you're relying on Mr. Moore's  
23 assertion that that's not true and that it's MTO  
24 testing that was done in 2013. Do I have that  
25 right?

1                   A.    I had no reason not to  
2    rely on his input.

3                   Q.    Yesterday you were asked  
4    were you able to understand the data, and you said  
5    you didn't attempt to.  So, why is that, sir?  Why  
6    did you not attempt to understand the data that's  
7    set forth in this e-mail?

8                   A.    Well, I guess two  
9    reasons.  The first one is the data was not -- had  
10   not been done by the City, so it was not a  
11   completion of the activity that had been included  
12   in our 2013 report that the City undertake  
13   friction testing.  It was friction testing done by  
14   another party.  Mr. Moore's response in the  
15   e-mails that follow this and with some red text  
16   were clear that the City, Mr. Moore himself, to  
17   me, did not have an interpretation of this data.

18                   So, I didn't go further  
19   because I wasn't being shown data that was, A,  
20   consistent or following on what had been  
21   identified by CIMA, that the City undertake  
22   friction testing, and B, there didn't appear to be  
23   an understanding or an interpretation of the data  
24   by the City themselves.

25                   And so, my interpretation of



1 this data would not be of assistance to the City  
2 in that it wasn't fulfilling the suggestion, the  
3 action, that we had recommended to the City for  
4 them to undertake friction testing of their road.

5 Q. Literally, you're not  
6 suggesting that the City had its own resources to  
7 undertake friction testing?

8 A. I had -- I did not know.

9 Q. You didn't know?

10 A. No, I did not know. We  
11 recommended friction testing be done by the City.  
12 How and when and by whom, internally or  
13 externally, they achieve that would be for the  
14 City to determine.

15 Q. So, and let me just ask  
16 on that. So, you said you were expecting the City  
17 to get data and assess it themselves. Who were  
18 you thinking at the City was going to be able to  
19 assess friction data?

20 A. I assumed Mr. Moore or  
21 his group, given they were responsible for the  
22 design of the roadway and, through his previous  
23 explanation identified in the notes, his  
24 description of the pavement surface and such.

25 Q. And later, and I'm not

1 going to go to it because it's later in this  
2 chronology, but later you do assess the Tradewind  
3 data, don't you?

4 A. Once it's been identified  
5 to me that it was data undertaken for the City.

6 Q. Sorry, Ms. Lawrence. I'm  
7 not going further.

8 MS. LAWRENCE: I have popped  
9 on the screen to object to the form of the  
10 question because it does appear to me,  
11 Mr. Commissioner, that Ms. Roberts' question does  
12 seek to elicit an answer that extends beyond the  
13 period of time that we're talking about now.

14 MS. JENNIFER ROBERTS: Sorry,  
15 Commissioner. Forgive me.

16 JUSTICE WILTON-SIEGEL: No, go  
17 ahead. Are you going to ask further questions  
18 about his actions in 2019?

19 MS. JENNIFER ROBERTS: No, I'm  
20 not.

21 JUSTICE WILTON-SIEGEL: So  
22 this is the only question on this issue?

23 MS. JENNIFER ROBERTS: No, I  
24 have another question, but I'm going to stay  
25 within the timeline.

1 JUSTICE WILTON-SIEGEL: All  
2 right. Let's hear the question. Go ahead.

3 BY MS. JENNIFER ROBERTS:

4 Q. So, you didn't attempt,  
5 in 2015, to understand the Tradewind friction  
6 data?

7 A. No. My view was that  
8 that was for the City to undertake.

9 Q. And you said yesterday in  
10 your testimony that you didn't expect to  
11 incorporate friction data in the CIMA analysis in  
12 2015. Do I understand that correctly?

13 A. Well, there was none to  
14 incorporate.

15 Q. And that's because of  
16 your understanding that it was MTO data and  
17 somehow proprietary?

18 A. It was not the City's  
19 data set. It was identified to me as having been  
20 testing that was undertaken by the MTO, and so it  
21 had not fulfilled what I was trying to understand  
22 as to whether or not the City had done testing  
23 following on the recommendation in 2013, and the  
24 context of where we are at this moment is trying  
25 to make a determination as to whether we're going

1 to include friction testing in the 2015 report.

2 Q. How was it that you were  
3 intending that friction testing could have been  
4 incorporated in your analysis, in your safety  
5 analysis?

6 A. We were looking -- I'm  
7 trying to make sure I understand your question  
8 properly.

9 Q. Well, you've asked for  
10 friction testing to be done, you've gotten it, but  
11 you're telling me that you didn't think that you  
12 could use it because it wasn't in a form that you  
13 were expecting it, and so my question is: What  
14 was it that you expected to get and how did you  
15 intend to incorporate it in your analysis?

16 A. We didn't intend to get  
17 friction analysis results. What we intended was  
18 for the City to undertake friction testing and  
19 make their own determination as to whether the  
20 results of that testing, if they had it conducted,  
21 was to their satisfaction or not.

22 Q. And is that because  
23 friction testing wasn't a necessary component to a  
24 safety analysis?

25 A. Well, the friction

1 testing is not part of a normal -- it's not very  
2 common in terms of safety assessments.

3 The other issue with the  
4 friction measurements is that there are a range of  
5 means by which friction can be measured, and so  
6 the critically important part in terms of friction  
7 is understanding what your baseline is so that you  
8 can determine where you are at the current time.

9 Friction testing, friction  
10 measurement, is most often utilized in terms of  
11 looking for a change. The typical issue which  
12 occurs on pavements is that they become polished  
13 over time and the friction will change, reducing  
14 it, if the surface was to become polished, or to  
15 in some way other degrade.

16 So, knowing your initial  
17 friction condition and monitoring your friction  
18 change over time is one of the ways that it's  
19 done. It's not done very often, but it is a  
20 process that that's the way it's usually  
21 undertaken.

22 So, the context of the CIMA  
23 recommendation in 2013 had been for the City to  
24 undertake friction testing so that the City could  
25 make determinations as to whether or not they were

1 satisfied with the friction that was available on  
2 their road surface to whatever standards and  
3 conditions and decision-making processes they were  
4 going to use themselves. It's an internal design  
5 parameter and operating parameter that the City  
6 needs to decide how to utilize, not the external  
7 consultant, at least not CIMA from a safety  
8 perspective.

9 Q. So, in the long and  
10 short, though, the friction data is not necessary  
11 to your safety analysis?

12 A. It could be useful in the  
13 safety analysis, but not in the strict sense of  
14 the number being this, that or something else.  
15 What would be useful is if the client, the City,  
16 had identified that, well, we have a section of  
17 this roadway which has more or less friction than  
18 is typically provided on our other roadways or in  
19 relation to whatever standard that we have. That  
20 information would be useful in the same way that a  
21 design parameter such as a curve radius and other  
22 would be utilized from a safety analysis. It  
23 would be a factor which could be incorporated into  
24 the interpretation as to whether or not a  
25 location -- whether or not friction is a factor in

1 the outcome.

2                                   The challenge with this  
3 assignment was we had a preponderance of wet road  
4 crashes. We also had data that showed high  
5 speeds, some relatively high speeds, and we had  
6 geometric conditions, overall layout of the  
7 roadway that, in some locations, presented higher  
8 workloads for motorists. What we had were  
9 contributing factors to collisions potentially,  
10 but not necessarily confirmation of causal  
11 factors.

12                                   And so, the request for  
13 friction assessment by the City of their roads was  
14 an attempt for the City to gather information that  
15 would help them determine if friction was a causal  
16 factor or not.

17                                   Q. Okay. So, just am I  
18 understanding that explanation -- I'm going to  
19 summarize this in a way that does justice to the  
20 many thoughts that you have provided to us.

21                                   Is that if friction were low,  
22 that that might be a factor that you should  
23 incorporate in your analysis, determining why  
24 particularly you've got wet surface collisions?

25                                   A. If the City had

1 identified -- was able to determine that they have  
2 friction performance at a given location that is  
3 different than the normally expected friction  
4 performance that they have on their other roadway  
5 network, that could be included in the analysis.  
6 However, our challenge was we did not know what  
7 friction was. We recommended that the City  
8 undertake friction testing so that they could make  
9 some determinations. If they had that output,  
10 then they would potentially have provided  
11 information to us. They had not done that yet, so  
12 we were still absent any information from the City  
13 of assessment of friction on this particular piece  
14 of road and I was not or did not know what they  
15 had for other portions of their roadway network.

16 Q. Okay.

17 A. We had speed data, for  
18 example, and that is a potential contributing  
19 factor to collisions. Friction could be a  
20 contributing factor but we didn't know. We didn't  
21 have data and we were recommending the City  
22 undertake some assessment of that so that they  
23 could inform themselves and assist in that  
24 determination.

25 Q. Okay. I'm recognizing



1 that its 11:30 and I think I've blown my estimate.  
2 I figure I've got another ten or 15 minutes,  
3 Commissioner. Would you wish to take a morning  
4 break or do you want me to finish?

5 JUSTICE WILTON-SIEGEL: Why  
6 don't you finish. We'll take a slightly later  
7 break this morning.

8 MS. JENNIFER ROBERTS: Thank  
9 you.

10 JUSTICE WILTON-SIEGEL: Yes.

11 BY MS. JENNIFER ROBERTS:

12 Q. Mr. Malone, and I  
13 recognize that this is a tiring process and I will  
14 try and keep it tight. Okay.

15 So, I would like, please, to  
16 go to that 2015 report, and I think that's  
17 Hamilton 702.

18 Mr. Malone, do I have this  
19 document identified correctly as the final version  
20 of this report?

21 A. I believe so, yes.

22 Q. Okay. Thank you. Now,  
23 one of the things that I just want to understand  
24 is in the 2013, you used the ISATe analysis to  
25 identify areas of higher collision rates within or

1 above a predicted number. You don't do that here.

2 Why not?

3 A. We didn't use that  
4 software in this process. We had internal  
5 software in-house that we utilized.

6 Q. Okay. So, you did the  
7 same thing using a different software?

8 A. Essentially, yes.

9 Q. Okay. Can we please go  
10 to image 24. Okay.

11 So, this is a summary of  
12 collision review and you've got in the bottom of  
13 this page, it identifies what you're calling  
14 critical locations. Do you see that?

15 A. Yes.

16 Q. Can we please turn to the  
17 next image. Okay.

18 And I take it -- I think this  
19 is exactly the same general location that I took  
20 you through in the Philips drawings. Do you  
21 remember that?

22 A. Yes.

23 Q. Okay. So, this is the  
24 area where you identified the most collisions and  
25 you've got critical locations for median-related

1 collisions here?

2 A. Yes.

3 Q. Sorry. So, if I'm  
4 reading from the bottom, I've got northbound  
5 direction. There's a 600-metre section around  
6 King Street interchange, 40 percent at the  
7 northbound collisions are over 7.5 percent of the  
8 Red Hill length.

9 Now, do I understand that to  
10 mean that 40 percent of the collisions over the  
11 whole length of the Red Hill are in this location?

12 A. Of the northbound -- of  
13 the collisions in the northbound lanes, yes.

14 Q. And, again, the next  
15 bullet is southbound direction. There's a  
16 1,100-metre section around King and Queen Street,  
17 which are 38 percent of southbound collisions. Do  
18 I have that right? That's 38 percent of all the  
19 southbound?

20 A. I didn't realize it was a  
21 question. Yes.

22 Q. Sorry. Okay. So, I take  
23 it overwhelmingly that the abundance -- sorry.  
24 The majority of collisions on Red Hill are on this  
25 segment, which has these four tight radius turns

1 and the two interchanges, which are close to one  
2 another?

3 A. Yeah. The numbers are as  
4 described in the -- correlated with the locations,  
5 yes.

6 Q. And can we please turn to  
7 the next page, image 26. And you talk here about  
8 potential contributing factors, and I think you  
9 were going to this topic in our last topic here.  
10 You've got three identified as potential  
11 contributing factors: Inadequate skid resistance,  
12 polishing, bleeding, contamination. Can I just  
13 address those?

14 I take it, sir, you did not  
15 see any evidence of bleeding or contamination on  
16 the Red Hill Valley Parkway?

17 A. No. This list, just  
18 these three bullets, are from a technical  
19 document. They're not necessarily specifically  
20 referring to the Red Hill Valley Parkway.

21 Q. Okay. And when you  
22 identify the polishing, that's a theory as to why  
23 there might be a lesser skid resistance?

24 A. The line is a quote from  
25 the document and it's a -- it attributes

1 inadequate skid resistance to those three elements  
2 or things occurring, so it's not all-inclusive of  
3 what could potentially impact skid resistance.

4 Q. Okay. This is an example  
5 from a textbook and not indicative of any findings  
6 on the part of CIMA?

7 A. Correct. It's a  
8 quotation from the text.

9 Q. Okay. And you've  
10 identified excessive speed in the third of the  
11 bullets and you've given evidence on that that I  
12 don't intend to focus on.

13 The hazardous manoeuvres in  
14 the second bullet here may be related to avoidance  
15 manoeuvres. I take it the sorts of manoeuvres  
16 that are identified as hazardous might also be  
17 manoeuvres that one would need in a circumstance  
18 where you've got, I think, high driver demand that  
19 you described earlier?

20 A. I think the text which is  
21 quoted is more referring to the word you used  
22 earlier, aggressive driving behaviours. But I  
23 would agree with you that the elevated driver  
24 workload would potentially be a contributing  
25 factor in wet road conditions.

1 Q. Okay. And, again, in the  
2 body of this, you then go into and talk about the  
3 curves in the -- can we just call it out, please.  
4 Another indication at the paragraph here. There  
5 we go. You talk about speed and the curvilinear  
6 alignment here.

7 And I take it that the  
8 conjunction of the speed and the curvilinear  
9 alignment you're identifying as potential likely  
10 contributing factors to the high number of  
11 collisions in the area?

12 A. Well, the presence of a  
13 curve means there's a requirement for driver input  
14 and, therefore, it's potentially a contributing  
15 factor to a crash that's occurring at that  
16 location.

17 Q. Right. Here, you're  
18 trying to give an explanation for a factual  
19 finding of a high number of accidents, and I take  
20 it I'm understanding you correctly that the  
21 contributing factors you're identifying are the  
22 speed and the turns?

23 A. Correct. We're listing  
24 potential contributing factors to the existence of  
25 the collisions and the curvilinear alignment is

1 certainly part of that. The alignment in general  
2 and, in this case, it has a number of curves on  
3 it.

4 Q. Registrar, could you  
5 please turn up image 20. I hope I've got that  
6 right. I think it's page 23. Sorry, image 30.  
7 Forgive me. My math is clearly failing. There we  
8 go. Okay.

9 So, this is -- you testified  
10 yesterday about this -- the ball-bank analysis  
11 that you did. Do I understand this exercise to  
12 be, at least in part, to try and assess the -- to  
13 assess the superelevations as actually constructed  
14 on the Red Hill?

15 A. It's not trying to assess  
16 the superelevation. What I tried to articulate  
17 was that when you do a ball-bank test, the  
18 superelevation that may be present on the roadway  
19 is included. It becomes a factor in determining  
20 the result from the ball-bank test. So, it's an  
21 empirical test. You drive through the curve and  
22 because you're driving a location, you're driving  
23 at whatever the superelevation may be, and so it  
24 is a component of the result --

25 Q. Okay. And it's a

1 component in that if the superelevation is  
2 correct, that that's going to help you, help the  
3 driver, navigate the turn?

4 A. Well, the superelevation  
5 is an embankment of the pavement surface and it  
6 will link to the capability of a vehicle to travel  
7 through the curve at a higher or lower speed. So,  
8 if the curve is, to use the example, if a curve  
9 was perfectly flat with no superelevation, it  
10 would get, result, in a higher ball-bank reading  
11 than if the curve was superelevated, the ball-bank  
12 reading would go down. So, it becomes a factor in  
13 the determination of the ball-bank output based on  
14 what the superelevation is or is not at the  
15 location.

16 Q. So, a superelevation  
17 that's correct for the speed would then end up  
18 with a lower ball-bank result? Do I have that  
19 right or have I got it backwards?

20 A. No. You're -- I'm  
21 concerned that you're defining superelevation as  
22 being correct or incorrect. Superelevation  
23 correlates with the radius of the curve, so it's  
24 not a fixed number as being correct or incorrect  
25 for a given speed. There are design guidelines



1 that describe superelevation correlating with a  
2 radius of a curve in order to achieve a design  
3 speed and the ball-bank test would give you some  
4 output that factors in the superelevation.

5 I'm just cautious in what I'm  
6 understanding the question to maybe be suggesting,  
7 that superelevation, determination of a correct or  
8 incorrect superelevation, is done by the ball-bank  
9 test. It's not.

10 Q. Okay. And you're right  
11 in that. Right now we have a superelevation that  
12 we can't see from the design documents and I'm  
13 trying to assess one of the objectives of this  
14 ball-bank testing. And if I'm understanding that  
15 it would give you a indication on superelevation,  
16 although I understand it's not a test for it?

17 A. It's not a test for it.  
18 You cannot make a determination of what  
19 superelevation is by doing a ball-bank test.

20 Q. Got it. Okay.

21 A. That said, the ball-bank  
22 test, by definition and by default, because you're  
23 travelling the road, is including the existing  
24 superelevation in the result that appears.

25 I realize it's confusing, but

1 it's -- I just want to be clear that you can't  
2 measure superelevation using a ball-bank test.

3 Q. I understand that. I'm  
4 not suggesting you could. Okay. Because one  
5 of -- I'm not going to go to it, but some of the  
6 recommendations here are in terms of adding in  
7 barriers.

8 And was consideration given to  
9 whether the superelevations were appropriate for  
10 the radius and design speed in consideration of  
11 whether it was appropriate and necessary to add  
12 barriers?

13 A. Not directly.  
14 Indirectly, as you can see from table 6, the  
15 ball-bank test passes, so the threshold value of  
16 12 is not breached when you travel through the  
17 curve at 100 kilometres per hour, and therefore  
18 the curve does not require supplementary warning.

19 So, I would say that, again,  
20 we did not measure superelevation with the  
21 ball-bank test, but the ball-bank test validated  
22 that there was not a necessity for the advisory  
23 speed at the 100 kilometres an hour speed. The  
24 posted speed for the roadway was 90, so there was  
25 no requirement for an advisory speed, and that

1 result was determined driving through the  
2 superelevation as it was when we drove through.

3 Q. Okay. Can we please go  
4 to the next image, 31. Sorry, I referenced this  
5 earlier and I just want to come to it. This is  
6 paragraph 5.2.2, Merging Behaviour. And, here, it  
7 is that CIMA comments on the somewhat aggressive  
8 fashion observed of drivers merging on to the main  
9 line as soon as they reach the dashed line at the  
10 acceleration lane. Can you please call out,  
11 Registrar, this paragraph. A little bit larger.

12 A. I see it, but okay.

13 Q. A little smaller than  
14 that, please. Thank you.

15 So, this is a finding. We  
16 have the evidence that in the 2013 report, you've  
17 identified some of the short acceleration lanes  
18 and we've got evidence of the turns of the ramps  
19 on to the main line on different points of  
20 curvature, and here it is you're observing a  
21 behaviour of people merging on to the main line?

22 A. Well, this is a different  
23 location for the most part than the 2013 report,  
24 so the four curves between King and Queenston were  
25 not part of the 2013 study.

1 Q. No, I understand that.  
2 But when we talked earlier in this  
3 cross-examination about the compressed weaving  
4 lane between King and Queenston, is that an  
5 example of a location where you observed this  
6 aggressive driving technique?

7 A. I think we observed it at  
8 a number of different on-ramp locations. I note  
9 that the text says it was occasionally observed  
10 and I think that's consistent with my description  
11 previously that there's a range of behaviours by  
12 drivers. So, some drivers, either by habit or by  
13 their potentially aggressive manner, merge  
14 immediately upon coming into the ending of the  
15 ramp and having the first opportunity at the  
16 highway. And that may be, while it was  
17 identified, the visibility present at some of  
18 these locations was flagged.

19 Several of the sites had, as  
20 noted in the bottom part of the first paragraph,  
21 high vegetation, growth of foliage and such, and  
22 part of the recommendation was to enhance  
23 visibility by maintaining that material.

24 Q. So, that's an easy  
25 recommendation to effect on. My proposition to

1 you, sir, is that because the weaving lanes are  
2 short, because the acceleration lanes are short,  
3 as you've identified, that that will encourage the  
4 driver behaviour identified in this paragraph. Do  
5 you agree?

6 A. No, I'm not sure I fully  
7 agree that that motivates the driver behaviour,  
8 not the driver behaviour described here as  
9 entering immediately or aggressive, at least as we  
10 were describing it. I'm not disagreeing with the  
11 description of the length of the on-ramps, but I'm  
12 not sure that that's the motivating factor in the  
13 driver behaviour.

14 Q. Okay. And in this, you  
15 say -- let me just read it -- that drivers  
16 entering the Red Hill from the on-ramp tend to do  
17 so in a somewhat aggressive fashion, merging on to  
18 the main line as soon as they reach the dashed  
19 line at the acceleration lane. This may be due to  
20 a potential perception by drivers that some  
21 acceleration lanes along the Red Hill Valley  
22 Parkway are too short?

23 A. Yeah. The first word  
24 before the paragraph or the portion you read,  
25 again, says occasionally. So, there are a range

1 of behaviours, I'm not disputing, and some, you  
2 know, potentially do exactly what you're  
3 describing, but I don't think it's a consistent  
4 applied to all motorists, is perhaps where I'm  
5 going.

6 Q. Okay. I see what you  
7 mean. Okay. And you're not agreeing that it's  
8 necessarily causal; that is, the short lanes are  
9 necessarily encouraging the behaviour?

10 A. It may be the element  
11 that encourages some drivers' behaviours, but I  
12 guess where I'm being obstructionist is that  
13 there's a wide range of driver behaviours and I  
14 don't think it's fair to characterize that element  
15 of the design as the reason for driver behaviour,  
16 nor to describe the behaviour as being consistent  
17 by all drivers. As described, it was occasional,  
18 so we're identifying these elements that could be  
19 sources of problems. And certainly a shorter  
20 on-ramp, you know, could be a factor in a  
21 potential collision occurring.

22 Q. Okay. Thank you. I'll  
23 wrap up. Just one last series of questions.

24 Can we please go to the second  
25 image here. So, this is -- so, we identified that

1 the final version of the 2015 Red Hill Valley  
2 Parkway Detailed Safety Analysis.

3 Can we please go to the next  
4 image. There we go. And this version does have  
5 signing lines. I take it, sir, that it remains  
6 CIMA's final report, notwithstanding that it  
7 wasn't signed?

8 A. I would have to verify  
9 the version, but obviously it's unsigned, yes.

10 Q. I want to go to one last  
11 document. It's CIMA 2606.

12 THE REGISTRAR: Sorry,  
13 counsel. Do you mind just repeating the call out  
14 for me?

15 MS. JENNIFER ROBERTS: I think  
16 it's CIMA 9606.

17 BY MS. JENNIFER ROBERTS:

18 Q. So, I think that  
19 Ms. Lawrence took you to this and I won't dwell on  
20 it. So, could we please call out the, one, two,  
21 three, four, the fourth paragraph, Playing the  
22 Statistical Argument. So, this e-mail is about  
23 the speed on the Red Hill and you're talking about  
24 the discrepancy in the data between Pyramid.

25 But I just want to call up

1 just a different point. It's agreed that the  
2 sentence beginning:

3 "Also agreed by all is  
4 that a large number of  
5 users exceed the posted  
6 speed limit."

7 Approximately 90 percent  
8 you've identified here:

9 "It's also clear there  
10 are at least some  
11 vehicles with very high  
12 excessive speeds on a  
13 daily basis. That  
14 particular behaviour,  
15 given the geometric  
16 limitations of the  
17 highway, is a recipe for  
18 disaster."

19 What geometric limitations are  
20 you referring to?

21 A. Well, the geometric  
22 limitations of the curves, for the most part. At  
23 some point, if the speed of a vehicle is high  
24 enough, the limitations of the physics will be  
25 exceeded and the vehicle will not be able to



1 traverse a curve.

2                                   On a straight, flat piece of  
3 road, you can travel at virtually an infinite  
4 speed, but on a curvilinear road, there are limits  
5 as to what you would be capable of travelling  
6 through. So, the sentence is essentially relating  
7 that situation. If speeds increase and speeds  
8 become excessive, there are geometric limitations  
9 that will be hit and that becomes the situation in  
10 which a collision can occur.

11                                   Q.    Physics?

12                                   A.    I would add that there is  
13 quite a bit of leeway in the design of a curve of  
14 roadway and the speed through which a vehicle is  
15 physically capable of travelling through it, and  
16 that speed also varies from vehicle to vehicle. I  
17 mean, the example we use in training is that it's  
18 different if you're travelling around a curve with  
19 a large truck with a high-mounted load versus a  
20 Ferrari. So, there are definite wide variations  
21 as to what speed becomes the limitation and  
22 sub-elements, such as the tires on the car and so  
23 on and so forth and the driver's capabilities will  
24 also --

25                                   Q.    But this is a general

1 observation?

2 A. Exactly. In the general  
3 sense, high speeds on curves and higher and higher  
4 speeds or extremely high speeds is a recipe for  
5 disaster. That's where crashes will occur.

6 Q. Okay. And then can we  
7 just go to the next paragraph. Can you call that  
8 up, please, Registrar.

9 So, you made the  
10 generalization that people -- you made the  
11 empirical observation that people are driving high  
12 and that that on the curvilinear section is  
13 problematic. And then you make the observation  
14 here, is that you've got an expectation, I think  
15 if I'm reading this correctly:

16 "We concluded that some  
17 drivers are unaware of  
18 the potential  
19 consequences of their  
20 behaviour since they  
21 likely perceive the road  
22 as just another  
23 400-series highway. It  
24 is not, particularly on  
25 the Red Hill section."

1 Do you mean by that that  
2 people driving between the QEW and the 403 who  
3 choose to use the Red Hill and LINC have the  
4 expectation that you can travel the road as you  
5 would on a straight 400-series highway? Am I  
6 understanding you correctly?

7 A. The comment was made, I  
8 think, trying to reflect our view that the roadway  
9 looks like a 400-series highway. It has divided  
10 lanes, centre median, shoulders on each side,  
11 overhead guide signs, and so the overall tone and  
12 feel of the roadway is consistent with what you  
13 would experience on 400-series highways elsewhere  
14 in the province.

15 And so, because of that, using  
16 your word from earlier, drivers' expectations may  
17 be driven by that pre-informed knowledge of what  
18 they experience elsewhere on 400-series highways  
19 and not necessarily recognize the differences that  
20 are present here.

21 There certainly was a  
22 variance, multiple variances, from a 400-series  
23 highway. Posted speed limits of 90 kilometres an  
24 hour an hour, for example, is one those. But  
25 drivers have competing information. They have a

1 view of the roadway as they travel it and they may  
2 make their decisions based on that previous  
3 expectation of what they're going to -- how they  
4 can and what they're going to experience as they  
5 travel the roadway as opposed to paying full  
6 attention to every aspect that's in front of them.

7 Q. And a driver with an  
8 expectation of a 400-series highway might be  
9 surprised by the curvilinear alignment of the Red  
10 Hill. That's the case, sir, is it not?

11 A. Well, drivers experience  
12 curvilinear alignment regularly and there are many  
13 400-series highways that have curvilinear  
14 alignment. This particular highway does have some  
15 tighter curves and some closer proximity  
16 interchanges than are commonly found on 400-series  
17 highways and that element may not be as clearly  
18 aware to or clearly visible and drivers may not,  
19 some drivers may not be fully aware of it when  
20 they encounter it.

21 Q. And therefore surprised?

22 A. It could occur, yes.

23 Q. Thank you. Those are my  
24 questions, sir. And thank you for your patience,  
25 Mr. Malone. I've taken you quite long.

1 Commissioner, I apologize for going over my  
2 estimated time.

3 JUSTICE WILTON-SIEGEL: We'll  
4 take a five-minute break. Let's come back seven  
5 minutes past noon. We've got to try to stay close  
6 to the timetable here. We're running quite far  
7 behind, so let's take our break until that point.

8 --- Recess taken at 11:58 a.m.

9 --- Upon resuming at 12:07 p.m.

10 JUSTICE WILTON-SIEGEL:

11 Ms. Lawrence.

12 MS. LAWRENCE: Commissioner,  
13 the City had questions in examination and was  
14 anticipated to go about an hour.

15 EXAMINATION BY MS. CONTRACTOR:

16 Q. Good afternoon,  
17 Mr. Malone. My name is Delna Contractor. I'm  
18 counsel to the City. I'm going to ask you a few  
19 questions today about some of the topics that you  
20 covered with my friends and some others as well.  
21 I'm going to jump around a little bit to try to be  
22 as efficient as possible, so if you have questions  
23 or you want me to give you a bit more context,  
24 just let me know. Okay?

25 A. Okay. Thank you.

1 Q. I want to start by  
2 understanding a bit more about your friction  
3 expertise and background. And I understood from  
4 your evidence yesterday that in 2015, you had some  
5 knowledge and experience with pavement friction  
6 design, and I believe you also stated that  
7 friction measurement and evaluation and  
8 performance specification for friction was not  
9 part of your standard work as a road safety  
10 professional. Is that right?

11 A. Correct, yes.

12 Q. And I think earlier today  
13 as well you mentioned that friction is not common  
14 in terms of safety assessments. That's not  
15 commonly done?

16 A. Correct.

17 Q. Okay. So, fair to say  
18 that in 2015, you did not have expertise in  
19 pavement friction beyond pavement friction design?

20 A. Correct, yes.

21 Q. And I gathered that,  
22 based on your experience working with City staff  
23 in 2013 and in 2015 on the Red Hill, you didn't  
24 understand the staff members to have expertise in  
25 pavement friction perhaps beyond pavement design?

1                   A.    I'm not sure I understand  
2    your question fully.  You're asking me did I know  
3    which or who or what the expertise was of  
4    individual staff members of the City?

5                   Q.    Sure.  So, you worked  
6    with a few staff members at the City in the  
7    context of the 2013 and 2015 CIMA report and I  
8    would like to know what your understanding was of  
9    whether any of those staff members appeared to  
10   have any particular expertise in pavement  
11   friction, not related to pavement friction design?

12                  A.    I think I understand your  
13   question.  No, I didn't have specific knowledge of  
14   the understanding, knowledge, of individual City  
15   of Hamilton employees.

16                  Q.    Right.  So, that's a bit  
17   of a different question.  I want to know whether  
18   you understood that they did not have any  
19   expertise in pavement friction.  There was  
20   nothing, based on your discussions with them or  
21   their correspondence, that suggested to you that  
22   any of the staff members that you worked with in  
23   the context of the 2013 and 2015 report had an  
24   expertise in pavement friction, again, other than  
25   design?

1                   A.     Maybe I'm  
2     misunderstanding the way you're wording it, but I  
3     did not know that they did have, nor did I know  
4     whether they did not have expertise.

5                   Q.     Okay.  And nothing based  
6     on your communications with them suggested that  
7     they did have an expertise.  Is that right?

8                   A.     I think that is correct,  
9     yes.  Nothing specifically identified what their  
10    expertise was.

11                  Q.     Okay.  Thanks very much.  
12    I would like to now chat about collision data,  
13    particularly in the 2013 CIMA report.

14                  And so, Registrar, if we could  
15    please go to CIM8082.0001 and to image 16  
16    particularly.  Thanks very much.  And if you could  
17    please call out section 4.1.  All right.

18                  So, this section or, actually,  
19    as part of the 2013 CIMA report, and we know that  
20    your team conducted a collision analysis at the  
21    study area, and this section lays out the purpose  
22    of that collision analysis and it states that the  
23    purpose is to identify locations that have a  
24    higher than average number of collisions and  
25    locations where the proportion of different types



1 of collisions are unusually high. Do you see  
2 that?

3 A. I do.

4 Q. Okay. And I understand  
5 that CIMA used two different types of analysis to  
6 meet that objective. The first was strictly  
7 through historical observed number of collisions,  
8 and the second was the enhanced interchange safety  
9 analysis tool, which I'm just going to refer to as  
10 the tool, if that's clear enough for you.

11 A. Yes.

12 Q. Okay. And you see that  
13 the section lays out those two separate types of  
14 analysis?

15 A. Yes.

16 Q. Okay. So, I want to  
17 understand both of these methods a little bit more  
18 and I want to go through the report, which  
19 provides a helpful description of them.

20 And so, if we could now,  
21 please, Mr. Registrar, go to image 26. Okay.

22 And the tool, as I understand  
23 it, is automated and it's used to assess the  
24 safety of freeway facilities, and there are three  
25 different types of analysis that can be done, and

1 you see them on the screen under 4.2.2 with the  
2 little plus signs.

3 And am I correct that the  
4 analysis that was done here was the safety system  
5 management analysis, which looks at the safety  
6 performance of several facilities and determine  
7 what countermeasures and where to implement them  
8 so that the greatest impact on safety is achieved?

9 A. Yes, that's what it  
10 states.

11 Q. Right. And that is the  
12 analysis that was done here. You didn't do an  
13 economic analysis or a reconstruction project  
14 prioritization. Correct?

15 A. Correct, yes. Yes.

16 Q. Okay. And if we can go  
17 back to 4.2.1, so I think just the page before,  
18 Mr. Registrar. Perfect. Thanks very much.

19 Based on my understanding of  
20 this section, the way that this tool completes its  
21 analysis is by looking at three distinct values.  
22 The first value is observed collisions, which are  
23 the number of collisions that occur at a location  
24 or segment. That's correct?

25 A. For the time period that

1 you have data available, yes.

2 Q. Right. And the predicted  
3 number of collisions is the average number of  
4 collisions that the tool expects a location to  
5 have, and this expectation is based on a  
6 mathematical equation that describes the best fit  
7 relationship between the number of collisions on a  
8 road and the characteristics of the road, such as  
9 volume or environmental type?

10 A. Correct. You're reading  
11 from the document, yes.

12 Q. I'm reading from the  
13 document, yes. And the expected number of  
14 collisions basically combines the observed and the  
15 predicted using an empirical method?

16 A. Again, correct.

17 Q. Okay. And, generally  
18 speaking, when the observed number of collisions  
19 is greater than the predicted number, the  
20 indication is that the location is performing  
21 worse than average, and where the observed  
22 number is lower than the predictions, the  
23 indication is that the location is performing  
24 better than average. Do I have that right?

25 A. I believe so, yes.

1 Q. Okay. So, going back to  
2 the objective of the collision analysis, which was  
3 to identify the locations where collisions are  
4 unusually high, I take it that the way to do that  
5 with this particular tool is to compare the  
6 observed with reference to the predicted to figure  
7 out whether it's unusually high or not, with the  
8 predicted being a baseline. Is that right?

9 A. Yes. The graphic on the  
10 next page may be of assistance as well.

11 Q. Sure. Mr. Registrar,  
12 please.

13 A. Yeah.

14 Q. There's a section, 4.2.3,  
15 that speaks to this as well. And, if it would be  
16 helpful, we could go to that.

17 A. Sure. Sorry, would you  
18 like me to proceed?

19 Q. Well, why don't I take  
20 you to that and then we can go back to the chart  
21 as well.

22 A. Okay.

23 Q. So, if we can go to  
24 image 28. And under the Tool Results, you'll see  
25 that it says:

1 "In general, when the  
2 observed number of  
3 collisions is less than  
4 the predicted, this is an  
5 indication that the  
6 location is performing  
7 better than average."

8 And so, if our objective is to  
9 understand whether the collisions are unusually  
10 high, we're using the predicted value as a  
11 comparator, as the comparator, I think is the best  
12 way to put that. Is that right?

13 A. I would use slightly  
14 different wording. I'd say we're using the  
15 observed to modify the determination of the  
16 predicted.

17 Q. Right. And what it  
18 states here is that when the observed number of  
19 collisions is less than the predicted, so if the  
20 number of collisions are five and the predicted is  
21 ten, then that means that five collisions are not  
22 unusually high for that segment. Is that a  
23 fair -- am I understanding that correctly?

24 A. Just if you can repeat  
25 your explanation again, that would make sure I've

1 got it right and understand what you're saying  
2 correctly.

3 Q. Sure. So, just based off  
4 that second sentence in this paragraph, right,  
5 which says:

6 "If your observed number  
7 of collisions is less  
8 than the predicted, then  
9 this is an indication  
10 that the location is  
11 performing better than  
12 average."

13 And so, what I'm asking,  
14 essentially what that means to me is that when  
15 we're looking at whether collisions are unusually  
16 high, which, again, is the objective of this  
17 analysis, we can do that by comparing the observed  
18 to the predicted.

19 So, for example, if the  
20 observed number of collisions is five and the  
21 predicted is ten, five is less than ten, which  
22 would mean that that was an indication that that  
23 segment is performing better than average or is  
24 not unusually high?

25 A. Correct.

1 Q. Okay. Thanks. Okay.  
2 So, on Monday commission counsel asked you about  
3 this tool and you were asked about it again today,  
4 specifically about what it is that it tells you  
5 about the Red Hill and how it's performing. And I  
6 believe that you said that it tells us that some  
7 sections, as you break into segments or ramp, are  
8 performing better than you would expect for that  
9 type of facility and some were performing worse.  
10 Essentially, it's a statistical tool that could  
11 help flat locations in comparison to what their  
12 expected performance would be. Is that correct?

13 A. I think that's accurate,  
14 yes.

15 Q. Okay. And, again, this  
16 is based on the idea that we just spoke about,  
17 that when the observed number of collisions is  
18 less than the predicted number, the indication is  
19 that location is performing worse, so it allows  
20 you to compare facilities using the predicted  
21 number as a comparator?

22 A. I'm sorry to interrupt.  
23 I think you might have just flipped them around  
24 there.

25 Q. Okay. And it allows you

1 to compare the collision rate of different  
2 facilities based on the delta between the observed  
3 or, sorry, using the predicted value as a  
4 comparator?

5 A. Okay. Yes. Yeah.

6 Q. Okay. And there's one  
7 section in this report with respect to the tool  
8 that you haven't been taken to and I want to spend  
9 a few minutes on that, because I do think that  
10 it's quite important.

11 If we can go to image 27 and  
12 call out the section The Limitations of ISATe. I  
13 don't know if you can call out the entire section.  
14 Beautiful. Okay.

15 A. Okay. Yeah. Thanks.

16 Q. Okay. And so, based on  
17 this section, my understanding is that using this  
18 tool to conduct a safety analysis on the Red Hill  
19 has a significant limitation in that the  
20 mathematical equation that's used to design the  
21 predicted number, the comparator, the mathematical  
22 number that's used to determine that is not  
23 calibrated for Hamilton; it's only calibrated for  
24 the U.S.?

25 A. Yes, that's correct. The



1 tool is not -- was not built using Hamilton data.  
2 It's U.S. based. It's a U.S.-based tool, but it  
3 still gives a means to examine the data and try to  
4 eliminate some of biases that may exist with pure  
5 collision frequency data.

6 Q. Right. And I understand  
7 that it was not calibrated for Hamilton because  
8 there just simply wasn't sufficient collision  
9 data.

10 A. Well, it hadn't been  
11 done. Hamilton has sufficient data to calibrate  
12 the safety performance functions for use in a tool  
13 like this. At the time, in 2013, Hamilton had not  
14 done it. It was pretty rare for municipalities in  
15 Canada to do it. It's become much more common and  
16 more municipalities do, but it's not a matter of  
17 there not being enough data. It simply had not  
18 been done.

19 Q. Okay. I was just citing  
20 the third paragraph, which says:

21 "There is insufficient  
22 data in the current study  
23 to calibrate the  
24 SPFs -- "

25 Which is the value tied to the

1 predictive number:

2 " -- in ISATe for  
3 Hamilton. The user  
4 manual states that for  
5 each site type there  
6 should be at least 100  
7 collisions per year. For  
8 the Red Hill corridor,  
9 there were only 160 total  
10 collisions for all site  
11 types spread over five  
12 years. In addition,  
13 generally many locations  
14 are needed for  
15 recalibration whereas  
16 this project covers only  
17 one highway."

18 So, perhaps I misspoke and the  
19 question should have been that there's  
20 insufficient data for the Red Hill, to calibrate  
21 the Red Hill. Is that fair?

22 A. Yeah. I mean, the safety  
23 performance function is a curve that has been  
24 fitted to some data, you need sufficient amounts  
25 of data in order to have a good fit of a curve.

1 It had not been done for Hamilton, so the tool has  
2 built in defaults to it and that's what was used.  
3 And that's exactly what's being highlighted in the  
4 report.

5 Q. Right. And it states  
6 that calibration is important because it ensures  
7 that the evaluations of the results are meaningful  
8 and accurate for a specific jurisdiction?

9 A. It will --

10 Q. Do you see that?

11 A. It will improve accuracy  
12 if the safety performance functions which are used  
13 in the tool are adapted, modified, in conjunction  
14 with the specific jurisdiction, yes.

15 Q. Okay. And it goes on to  
16 say that without proper calibration, it's not  
17 suitable to compare the observed number of  
18 collisions on the Red Hill to the predicted  
19 number, that it's only suitable for relative  
20 rankings and not for absolute collision values.

21 And so, what I understood from  
22 that is that you can use this tool to create a  
23 ranking of the segments of the Red Hill, but that  
24 it's not suitable for absolute collision values.  
25 It's not suitable to be compared to other

1 facilities.

2 A. Yes. I think that's a  
3 correct interpretation. The -- I'm just trying to  
4 think if I need to supplement the description you  
5 gave. I highlighted earlier that we used it in  
6 that manner. What you -- the value of the tool is  
7 to help understand the potential for safety  
8 improvement, and I mean that in a magnitude sense  
9 as opposed to an absolute number. Perhaps that's  
10 the addition that's needed.

11 Q. Right. But that  
12 magnitude is only with respect to the various  
13 segments of the Red Hill and not with respect to  
14 the reference to what's expected at other  
15 facilities?

16 A. Yes. I would agree.  
17 That's correct.

18 Q. Okay. And if I could put  
19 this in very simple terms for those of us that are  
20 not safety professionals, is it fair to say that  
21 we cannot here use or it's not suitable to use the  
22 predicted number because it would be a little bit  
23 like comparing apples to oranges because the tool  
24 is not calibrated for the Red Hill?

25 A. Sorry, when you say

1 "use," can you define what you mean by use?

2 Q. For the purposes of the  
3 collision analysis, which again was to identify  
4 whether there are spots on the Red Hill or that  
5 collisions on the Red Hill that are unusually  
6 high, and I'm suggesting to you that the predicted  
7 value cannot be used to establish whether the  
8 collisions are unusually high using this tool to  
9 compare to other facilities. It can only be used  
10 to rank the relative locations of the Red Hill?

11 A. Yes. The latter part of  
12 your description being the most important. It's a  
13 relative ranking on the facility that you're  
14 looking at, not comparison to other facilities  
15 elsewhere.

16 Q. Okay. All right. And if  
17 we can go, please, to image 30, Mr. Registrar.

18 So, this table, table 7, lists  
19 the observed, predicted and expected number of  
20 collisions for the ramp segments. And my friend  
21 took you to this earlier today as well, but I want  
22 to clarify my understanding of it based on what we  
23 just discussed.

24 And so, if we look at, for  
25 example, ramp 6, that has an observed collision of

1 40, I believe, and a predicted value of 23.3. And  
2 because of the lack of calibration that we just  
3 discussed, we cannot rely on this to mean that the  
4 number of collisions on ramp 6 are twice as high  
5 as you would expect at other facilities. Is that  
6 right?

7 A. Oh, I see what you're  
8 saying. Yes. Yeah. The last two columns give  
9 you input that allows a relative comparison  
10 between each of the rows, but not an absolute  
11 determination of the number that it should be at,  
12 and I think confirming what you stated, and that's  
13 because the safety performance function that  
14 things are used to compare against is not  
15 calibrated for Hamilton or the Red Hill in  
16 particular.

17 Q. Okay. And I take it that  
18 of course the segments of the Red Hill that formed  
19 part of the study area in 2013, they have  
20 different characteristics. Right? Some areas  
21 have greater curvature and some are more linear,  
22 and so in that sense, comparing that relative  
23 ranking may have some limitations as well in terms  
24 of a comparison of what you would expect, but  
25 might assist in determining where the greatest

1 potential for -- which area has the greatest  
2 potential benefit of improving safety?

3 A. It is one of the  
4 limitations of the methodology, of the approach.  
5 It's not perfect by any means. How finely you  
6 divide, you segment, the roadway that you're  
7 looking at becomes -- if you take it too far, then  
8 you're just looking at individual locations and  
9 you're losing the whole value of the comparative  
10 analysis.

11 Q. Right.

12 A. So, typically ramps would  
13 be grouped together, curvilinear sections of  
14 highway grouped together, straight portions of  
15 highway grouped together, if there is a safety  
16 performance function that relates to each of those  
17 types of conditions.

18 But, you know, if you're  
19 suggesting should you continue to break down  
20 further and further and further into ramps that  
21 are one configuration as compared to ramps of  
22 another configuration, it's potentially possible  
23 but it begins to degrade into meaningless  
24 information.

25 Q. Understood. So, we can

1 take that down, Mr. Registrar.

2 I want to now turn to the  
3 other kind of safety analysis that CIMA undertook  
4 in the 2013 CIMA report, and that was to look at  
5 the historical observed number of collisions and  
6 compare it to the provincial and municipal  
7 averages, again, to determine, you know, are the  
8 number of collisions unusually high, so let's  
9 compare them to the province, let's compare them  
10 to what's happening in the rest of Hamilton.

11 And we know, based on our  
12 discussion, and I think you've confirmed this  
13 before, that when we're comparing collision rates,  
14 it's important that we're comparing the rates of  
15 like roads. Right?

16 And so, for instance, you just  
17 indicated that linear sections of the main line  
18 should be compared to each other and the ramps  
19 should be compared to each other, or a straight  
20 road should not be compared to a curvy road, for  
21 example, because they're different average  
22 expected -- the expected number of average  
23 collisions is different for those two types of  
24 roads. Is that right?

25 A. You would expect



1 different outcomes of collisions based on  
2 different types of roads.

3 I would throw a caution in a  
4 little bit. You said collision rates and  
5 collision rates imply a direct correlation with  
6 volume of traffic, and so collision frequency and  
7 collision rate are two different things. They  
8 shouldn't be merged together.

9 But I think -- I agree with  
10 your point or your description that collisions  
11 would be different on a ramp than would be on a  
12 main line, and collisions would potentially be  
13 different on a certain type of ramp than another  
14 type of ramp in that example.

15 Q. Right. And I think on  
16 Monday your evidence was that you would generally  
17 expect a straight road to have fewer collisions  
18 than a curvy road. That makes sense to me.  
19 That's right?

20 A. Well, remember there are  
21 contributing factors to collisions, and so  
22 certainly some of those would be the geometric  
23 elements that we're talking about, ramps, curves,  
24 main lines, straight, but other elements would be  
25 more generic, daytime, nighttime, wet road, dry

1 road.

2 So, there are elements which  
3 are linked to the geometry, causal factors of  
4 collisions, and there are would be elements which  
5 are linked to other factors which are not unique  
6 to the geometry. They may be consistent, like the  
7 weather condition.

8 Q. Right. And those factors  
9 that aren't linked to the geometry, they still  
10 have a disproportionate impact on curvy roads, for  
11 example. So, again, I think on Monday you stated  
12 the roadway that has a curvy alignment is more  
13 likely to have wet weather collisions. That's  
14 correct?

15 A. I don't recall the exact  
16 quote, but I guess I would add to it that the  
17 factors can indeed compound, if that's what you're  
18 suggesting.

19 Q. Yes, that's my question.

20 Thank you.

21 Okay. So, if we can go to  
22 image 23, Registrar, of the report that we just  
23 had up. Okay. So, we're still in the 2013 CIMA  
24 report and here the report is providing a  
25 breakdown of collisions on the Red Hill for the

1 study area, broken down by dry, snow, ice, wet and  
2 other.

3 And at the bottom of that, I  
4 wonder, Mr. Registrar, if you could pull up the  
5 next page as well and call out the bottom  
6 paragraph of this page and the top paragraph of  
7 the next page, as you did so effectively before.  
8 Okay.

9 And so, here, this paragraph  
10 states that:

11 "The overall average of  
12 collisions that occurred  
13 under wet road surface  
14 condition is 46 percent,  
15 when compared to the  
16 provincial average of  
17 17.4 percent and the City  
18 of Hamilton average of 13  
19 percent."

20 And if we look at the  
21 footnote, which is footnote 9, for the provincial  
22 average, for example, that takes us to the Ontario  
23 Road Safety Annual Report, which is a report  
24 prepared by the Ministry of Transportation.

25 And I take it that you're

1 generally familiar with this report if it's done  
2 annually?

3 A. Yes.

4 Q. And my review of the  
5 report is that it provides the collision data for  
6 all roads in Ontario that they have data for. Is  
7 that right?

8 A. Correct, yes.

9 Q. And it provides  
10 breakdowns by environmental condition and  
11 collision type and all kinds of other factors?

12 A. Correct.

13 Q. And this step is based on  
14 the number of collisions that occur on wet  
15 weather -- occur in wet weather conditions for all  
16 roadways, again in Ontario, that they have data  
17 for and not specifically with respect to curvy  
18 roadways, for example?

19 A. Correct, yes.

20 Q. Okay. And so, for  
21 example, I believe yesterday you stated that  
22 comparing the Red Hill collision stats to the 400,  
23 Highway 400, would not be an accurate comparator  
24 because the 400 is long and straight and it's not  
25 a direct comparison?

1                   A.    You need to be aware of  
2    the differences in doing a comparison, yes.

3                   Q.    Right.  Because  
4    otherwise, it would -- it could suggest that one  
5    roadway that has curves, when compared to a  
6    collection of other roadways that has straight  
7    roads and curves, has a lower collision rate  
8    because of the number of straight roads, for  
9    example, for the comparator group.

10                  A.    Again, you brought  
11   collision rate into it, but --

12                  Q.    Sorry.  Thank you.  I  
13   meant the number of collisions.

14                  A.    Yes.  Again, I understand  
15   what you're stating is that the provincial or --  
16   the provincial average that you highlighted is for  
17   all roads in Ontario.  The section of roadway  
18   being discussed in the report is not equivalent to  
19   all roads in Ontario.

20                  Q.    Thank you.  And we can  
21   take that down, Mr. Registrar.

22                  Am I correct that -- and you  
23   alluded to this earlier -- a more accurate way to  
24   analyze that collision data would be to break it  
25   down into segments, not into too many segments,

1 but into segments based on their curvature and  
2 then compare the collision data that way, so  
3 segments with similar curvature would be compared  
4 to each other. Is that fair?

5 A. Ideally, you would  
6 provide an apples-to-apples comparison, yes.

7 Q. All right. And I know  
8 that this will be discussed later on in your  
9 testimony, but I believe CIMA does eventually  
10 provide such analysis in 2018 and 2019?

11 A. We did further analysis  
12 in 2018 and 2019, yes.

13 Q. Okay. And,  
14 Mr. Registrar, sorry, can we bring that report  
15 back up and go to image 21. And we can call out  
16 figure 5, so just the table there. Perfect.

17 I just wanted to clarify a  
18 small point here. And so, this figure provides a  
19 pie chart breakdown of collision types on the  
20 study area and the blue, we can see in the top  
21 left-hand corner, represents SMVs. And am I  
22 correct that the numbers in the circle represent  
23 the actual number of collisions?

24 A. That's my understanding,  
25 yes.

1 Q. Okay. So, for example,  
2 if we look at ramp 5, it has two SMVs and two  
3 rear-ends and one side-swipe, so about 40 percent  
4 of the collisions on ramp 5 are SMV?

5 A. Correct, yes.

6 Q. Okay. And similarly for  
7 ramp 8 and 10 and 3, there's only one collision  
8 which is an SMV, so 100 percent of the collisions  
9 are SMV?

10 A. That would be correct,  
11 yes.

12 Q. And if we look at ramp 6,  
13 that's about 92 percent?

14 A. I don't know what the  
15 total is in front of us, but --

16 Q. Sorry, you don't know  
17 what the total -- so, the total would be 40, so it  
18 would be just a percentage of 37 out of 40, which  
19 I won't make you do the math, but it is cited at  
20 the bottom paragraph, so we can take a look at  
21 that?

22 A. Yeah. Whatever the  
23 calculation is from the total, yes.

24 Q. Right. Okay. And so, if  
25 we could go back, Mr. Registrar, to the bottom, to

1 the next paragraph or the next page, rather.

2                               You'll see that the report  
3 states that the proportion of SMV collisions on  
4 ramp 6 is significantly higher than all other  
5 locations, with more than 92 percent of collisions  
6 being SMVs.

7                               And we know that there are  
8 three locations, for instance, that do have a  
9 higher proportion of SMV collisions. Right? We  
10 just saw that with ramps 3, 8 and 10, so that's  
11 not precise?

12                              A. Agreed.

13                              Q. And again, it goes on to  
14 state that the percentage of SMVs on ramp 6 are  
15 notable when compared to the provincial average of  
16 SMV collisions, and so the same issue that we  
17 discussed earlier about comparing apples to apples  
18 would apply here. Correct?

19                              A. Yeah. There are some  
20 deficiencies in the approach for sure.

21                              Q. And so, you would agree  
22 with me that to understand whether or not the  
23 number of collisions on ramp 6 are unusually high,  
24 it would be more accurate to compare the number on  
25 that ramp to a roadway or a ramp with similar



1 curvature. Is that fair to say?

2 A. Yes. It would be --

3 ideally you would want to compare it to ramps of  
4 similar configuration. The ramp 3, for example,  
5 in this image and ramp 6 have somewhat similar  
6 configurations, 270-degree ramps, tighter geometry  
7 on the ramp 6 and whatever other features are  
8 present. And so, there's some about to provide  
9 comparison when looking at gross numbers of  
10 collisions, collision frequency, but there are  
11 limitations to it for sure.

12 Q. And I think we can take  
13 that down. I'm going to now just ask you a few  
14 general questions about CIMA's process with  
15 respect to working with clients and then preparing  
16 draft reports and reports generally.

17 And I take it, Mr. Malone,  
18 that it's common practice for CIMA to have  
19 meetings with the client on a particular  
20 engagement to provide your preliminary views to  
21 the client?

22 A. We usually build in  
23 progress meetings, a project kickoff meeting and  
24 then progress meetings as may be appropriate  
25 throughout. Sometimes the client will demand that

1 in their request for proposal. Sometimes we'll  
2 propose it. The quantity will vary depending on  
3 the project.

4 Q. Understood. And as part  
5 of the discussions you had in those meetings and,  
6 you know, common to include your preliminary BC  
7 analysis or the specific potential measures that  
8 you may be considering at the time?

9 A. Sorry, you asked if it is  
10 common to include that?

11 Q. Yeah.

12 A. It's not uncommon. Not  
13 every project includes a benefit-cost analysis,  
14 for example, so obviously it would not be included  
15 in that. It can and could be included. It's a  
16 useful piece of information as you're making  
17 decisions as to where the report will end up.

18 Q. Right. And I take it,  
19 again, not uncommon for CIMA to receive feedback  
20 from the client, including additional information  
21 that CIMA may need to be aware of that are  
22 relevant to potential recommendations, costing  
23 information that may impact the cost benefit  
24 analysis and generally factors like that. Is that  
25 fair?

1                   A.    Yes.  I think the  
2   communication and discussion with the client as  
3   the project progresses is useful.  It avoids  
4   getting to the end of the, the completion of the  
5   project, and then finding out you've missed some  
6   piece of information or misinterpreted something,  
7   so it's a way to maintain efficiency in the  
8   project.

9                   They also served, the meetings  
10  served the function of keeping the client informed  
11  as to what progress is being made, and so they're  
12  confident that the things are proceeding in  
13  accordance with plan, again, rather than getting  
14  surprised at the end of the day that we're behind  
15  schedule or something like that.

16                  Q.    Right.  And I think you  
17  mentioned on Monday that these types of meetings  
18  are important to ensure that any ideas that are  
19  ultimately recommended or measures that are  
20  ultimately recommended are reasonable and viable  
21  for potential implementation?

22                  A.    Yeah.  The view we take  
23  is that it's important to ensure the client has an  
24  understanding of what's transpiring.  If the  
25  client has an intimate knowledge of the locations

1 that are being assessed in the project and they  
2 can provide valuable input, things that may not be  
3 clearly aware to the consultant, so they can  
4 improve our knowledge and raise points and, as  
5 occurred in this case, clarified things like scope  
6 for us.

7 To a certain extent, it's  
8 even, I won't say more important, but it is  
9 important for roster assignments because the  
10 formulation of the RFP process or the request for  
11 proposal process is fast-tracked, so there's not  
12 necessarily a long detailed assessment or  
13 completion of a formal written document for the  
14 consultant to respond to with a roster assignment.  
15 I mean, that's part of the advantage of it, is  
16 that it moves things quickly, but it, by  
17 necessity, then, calls for or should -- can  
18 benefit from ongoing communication.

19 Q. And, Mr. Malone, you  
20 would agree with me that ultimately the report  
21 that CIMA submits to the client, the final report,  
22 it's of course important that that report reflect  
23 CIMA's opinion on what recommendations could or  
24 should be recommended in the study area?

25 A. That's why the client has

1 hired us. They're seeking our input and our  
2 opinion. It's a professional opinion relating to  
3 a particular matter.

4 Q. Right. And important  
5 that the report include your opinion on timelines  
6 by which those measures can be implemented as  
7 well?

8 A. I do agree that it's  
9 important that we give our input with respect to  
10 timelines, but I would also -- I think it's  
11 important to recognize that the client also has an  
12 important involvement in timelines, particularly  
13 given that the consultant may not have sufficient  
14 knowledge of the inner workings of the  
15 organization to be able to know timelines. And,  
16 of course, as a consultant, we don't control the  
17 timelines either, so we're aware of that in  
18 writing our reports and we try to make sure that  
19 we communicate to clients things like timelines so  
20 they can be reasonable when they're included in  
21 the report.

22 Q. Right. I understand that  
23 you cannot control the timeline by which the City  
24 implements any measures that are listed in the  
25 report, but it is important that CIMA's

1 recommendation with respect to timeline reflect  
2 CIMA's opinion?

3 A. Yes. I think we  
4 certainly provide an opinion with respect to  
5 timeline when we provide it, but part of that  
6 opinion may require input from the client in order  
7 to ensure that it is reasonable. And the example  
8 I gave yesterday was if an item requires capital  
9 budgeting, if we misinterpret or don't understand  
10 that something requires an extensive capital  
11 budgeting or other, you know, form of process that  
12 must be followed through in order to achieve it,  
13 that's a deficiency on our part and the client can  
14 help inform us as to what steps may be required,  
15 you know, to get to implementation of  
16 item number X instead of the consultant's  
17 interpretation that it was one step, two step  
18 complete, they say no, there's three or four other  
19 steps in between. You weren't aware of that.  
20 That potentially impacts timeline.

21 So, that's a long way around.  
22 I won't say it's iterative. Certainly the client  
23 provides input about it, but it is informed and  
24 should be by the client as well. Otherwise,  
25 you're acting in a vacuum.

1 Q. Right, but we've seen one  
2 example at least in the context of the 2015 report  
3 where a CIMA staff member understands the City to  
4 be requesting a change in the timeline for one of  
5 the recommendations. You know, we've seen a  
6 comment on one of the drafts saying I don't agree  
7 with this and ultimately CIMA maintained its  
8 original recommendation of a short timeline for  
9 that particular measure.

10 So, you know, what I'm hearing  
11 you to say is that certainly the client has the  
12 opportunity to provide feedback and give CIMA  
13 information that it may not have so that CIMA can  
14 make an informed recommendation with respect to  
15 timeline, but ultimately CIMA would not recommend  
16 a timeline that it did not agree with. Is that  
17 fair to say?

18 A. Yeah. We would not  
19 recommend a timeline that we don't agree with, but  
20 we would want to make sure we've been informed as  
21 much as we can be to make a reasonably informed  
22 recommendation regarding a timeline. We recognize  
23 fully that the client will determine at the end of  
24 the day the timelines themselves, and we're trying  
25 to make sure that we haven't made an error or

1 misunderstanding, so we're trying to incorporate  
2 that. But certainly we will agree to disagree in  
3 some circumstances.

4 Q. Right. And the same  
5 would go for recommendations. CIMA would not  
6 include any recommendations or omit any  
7 recommendations that it does not agree with?

8 A. Yes. We make the  
9 recommendations based on our professional  
10 opinions. In a similar manner, we'll make sure  
11 that we're fully informed by the municipality.

12 One of the challenges with  
13 road safety assessments, as I highlighted  
14 yesterday, is that we're dealing with an existing  
15 facility and that concept of, sort of, backing up  
16 or changing something that's already in place is  
17 always a little bit unclear as to where it  
18 resides.

19 In some circumstances, it is  
20 fully appropriate to do that and in others it's  
21 not possible, so we try to make sure we understand  
22 that context.

23 Q. Okay. Understood.

24 Mr. Commissioner, I'm about to  
25 move on to another section and I note that we're



1 approaching lunchtime. I'm happy to continue or  
2 I'm happy to break for lunch now. I'm in your  
3 hands.

4 JUSTICE WILTON-SIEGEL: Let's  
5 take our break now. I'm going to suggest we take  
6 a one hour break and we return at 2:00.

7 --- Luncheon recess taken at 12:57 p.m.

8 --- Upon resuming at 1:59 p.m.

9 MS. CONTRACTOR:

10 Mr. Commissioner, before I continue with my  
11 questions, I wanted to note what I relayed to  
12 Ms. Lawrence. Unfortunately, although I did  
13 estimate an hour, I think I will be a bit longer,  
14 but I will do my best to try to wrap up in the  
15 next hour.

16 JUSTICE WILTON-SIEGEL: Okay.  
17 Well, I would ask you to do that. I note that  
18 Golder also went over, but they were a little less  
19 than an hour and a half. You've already had  
20 pretty close to an hour. I am, as you may expect,  
21 also very sensitive to two things relating to  
22 scheduling. One is that Mr. Applebee has been  
23 here for some time and he's scheduled to be  
24 examined this afternoon or to give his evidence  
25 this afternoon, and also that we only have half a

1 day tomorrow to wind up with Mr. Applebee, so we  
2 have to make sure that we keep to that schedule.

3 So, I would ask that you limit  
4 your questions to the hour between now and 3:00.

5 MS. CONTRACTOR: Understood.

6 Thank you.

7 JUSTICE WILTON-SIEGEL: Thank  
8 you.

9 BY MS. CONTRACTOR:

10 Q. Mr. Malone, I'm going to  
11 try to speed through a couple of things and jump  
12 around a little bit, but if you need any  
13 clarification, do let me know.

14 And, Mr. Registrar, if we  
15 could go to CIM8082, image 13.

16 While we do that, I'll start  
17 with my questions. So, I understand that the  
18 objective of the 2013 safety report, as is  
19 described in the language that we'll see shortly,  
20 was to review a portion of the Red Hill to  
21 determine the safety and performance of the  
22 roadway, and that's just at the bottom under Study  
23 Objectives, now that we have that page up, and  
24 determine the safety and performance of the  
25 roadway and recommend viable potential

1 measurements that could be implemented to increase  
2 safety performance or driver sense of security.

3 And from that, I understand  
4 that their mandate was to provide CIMA's opinion  
5 on the safety performance of the area, so  
6 collision data, and identify any measures that the  
7 City could implement and a timeline by which they  
8 could implement those measures. Do you agree with  
9 that?

10 A. Yes. I think that's  
11 consistent with a road safety audit or road safety  
12 review that was undertaken. I mean, road safety  
13 reviews are, to be clear, it's not an engineering  
14 design process. It's an assessment of an existing  
15 condition, looking for opportunities to make it a  
16 more safe condition than what might otherwise be  
17 present.

18 But I would highlight that we  
19 do a lot of road safety assessments in our work,  
20 it's my profession, and one of the things that  
21 happens with it is the client sometimes comes to  
22 us with a request, as a patient may go to a  
23 doctor, saying I have a problem, I need a certain  
24 thing, I need a certain pill, I want you to  
25 prescribe this for me to make me better. But,

1 like a good doctor, the first thing you do is you  
2 go back and start to look at the symptoms, you  
3 complete a diagnosis of what's going on, you come  
4 to some conclusion as to what issues are present,  
5 and then you would make some determination as to  
6 what, if any, prescription, to use that analogy,  
7 would be necessary.

8                               So, you know, in a nutshell,  
9 that's the approach of the study and that's why we  
10 talk about trying to implement increased safety  
11 performance. Nobody can make a road safe. You  
12 make a road more safe and you try to determine how  
13 much less safe it might be than similar types of  
14 facilities. So, the short answer is, yeah, that's  
15 our intent.

16                               Q. Understood. And  
17 yesterday in the context of the 2015 report and  
18 specifically in the context of revisions that CIMA  
19 made to the 2015 report from "recommendations" to  
20 "should be considered," your evidence was that you  
21 specifically used that term. It was intentionally  
22 selected because it has a very specific meaning in  
23 traffic and transportation engineering. The word  
24 indicates that the action should be done, unless  
25 there's a reason not to, and that was part of the

1 reason for the change from "recommendation' to  
2 "should be considered."

3 And so, CIMA, I gather, is  
4 intentional about its use of the word "should," as  
5 it has a specific meaning?

6 A. In the years I've been  
7 practicing, there's certainly been clarification  
8 about the use of that word. I think it had been  
9 somewhat casual in that past as implying optional  
10 by some interpretations, and that interpretation  
11 has become much more clear in things like design  
12 guidelines and, in the traffic engineering world,  
13 the guidelines relating to traffic control and  
14 signs and markings and such.

15 And so, yes, the choice of the  
16 word is specific. It's different than the  
17 previous version. I commented yesterday but I  
18 take the same position today, which is that I was  
19 not concerned by the title change from  
20 recommendations to options for consideration  
21 because, first of all, the entire content is  
22 exactly the same, so all the ten items that were  
23 listed in the version that said recommendations  
24 were the same ten items that were listed in the  
25 subsequent version, and the wording was enhanced,

1 in my view, and the traffic engineering  
2 professionals that we were delivering the report  
3 to would understand that.

4 Q. Understood. And so, if  
5 "should," as you stated, has a specific meaning,  
6 that the action should be done unless there's a  
7 reason not to, it follows, then, "could be  
8 considered" has a different meaning and it  
9 suggests that an action could be done but is not  
10 required. Is that fair?

11 A. I would agree with that,  
12 yes.

13 Q. Okay. And we can go to  
14 the page if we need to, but I understand that  
15 short term, medium term and long term in the 2013  
16 report were defined as short term was zero to five  
17 years, medium term was five to ten years, and long  
18 term was ten plus years.

19 And so, what that would mean  
20 is that for short-term measures, CIMA recommends  
21 that the City consider implementing short-term  
22 measures at some point between zero and five  
23 years. Am I reading that correctly?

24 A. Yes. And, again, you  
25 know, I think with the appropriate input from the

1 municipality, from the City, with respect to  
2 whether that is viable for them from a variety of  
3 perspectives, budgeting and such. But yes, the  
4 intent -- and I think it is a reflection, as was  
5 discussed yesterday, of the practical realities.  
6 Installing a sign is a simpler process than  
7 installing a, you know, much more significant  
8 capital expenditure, so part of it is simply  
9 related to that reality and another is it implies,  
10 you know, a timeline that we think would be  
11 reasonable to be achieved.

12 Q. Right. And so, I take it  
13 that the same definition applies to the 2015  
14 report?

15 A. Yes.

16 Q. Okay. And could we  
17 please, Mr. Registrar, go to image 50 of the  
18 report that you have up. I would like to chat now  
19 about the friction testing recommendation in both  
20 the 2013 and the 2015 report.

21 And I gather that at this  
22 point, CIMA had not come to any conclusion about  
23 whether the City had inadequate skid resistance  
24 and whether this was related to the number of wet  
25 weather collisions on the Red Hill?

1 A. Yes. I think that's --

2 Q. Right?

3 A. We did not have  
4 sufficient information to understand it and the  
5 recommendation was for the City to gather that  
6 information, to obtain it and to assess it within  
7 the context of what their parameters would be for  
8 acceptable friction for the City of Hamilton.

9 Q. Right. And friction  
10 testing was included here as a way for the City to  
11 assess the frictional characteristics of the  
12 roadway?

13 A. Correct.

14 Q. And that was your  
15 evidence yesterday. And, again, I'm not going to  
16 take you to it, but I think yesterday and today  
17 you've advised that the reference in the 2015  
18 report to potential contributing factors, which  
19 were listed as speed, inadequate skid resistance  
20 and hazardous manoeuvres, those were general  
21 factors that, you know, one would consider with  
22 respect to wet weather and not specific factors  
23 related to the Red Hill based on your assessment?

24 A. You're referring to the  
25 three bullets that were noted into the document?



1 Q. That's right?

2 A. Yeah. First of all, as  
3 stated, they were quoted from the reference  
4 document, but they also serve as a support for the  
5 recommendation for friction testing. Friction is  
6 considered in accordance with the reference  
7 document to be one of the elements that could be a  
8 contributing factor in wet weather collisions.

9 Q. Right. And so, friction  
10 testing would assist in understanding which of  
11 these factors may be more relevant or might help  
12 understanding whether inadequate skid resistance  
13 would be a contributing factor?

14 A. Well, it would give you  
15 some understanding of what the friction capability  
16 capacity is of the roadway if you assess it, so we  
17 basically have a blank in understanding of what  
18 friction is.

19 Q. Right.

20 A. I should back up.  
21 There's an assumption in fundamental design and  
22 there's an assumption in road safety assessment  
23 that a certain amount of friction will be  
24 available on the road surface, so the design  
25 incorporates a friction value in various ways that

1 have been discussed and there's a built-in  
2 assumption that that is present. And road  
3 designs, as I know from listening to some  
4 testimony and from my knowledge in the subject  
5 area, is that are intended to provide a certain  
6 amount of friction, but it's not common for  
7 friction levels to be measured to give the check  
8 mark that the road is okay. It's assumed that it  
9 is present and we go from there. In this case, we  
10 were questioning that assumption.

11 Q. And, to be clear, you  
12 were questioning the assumption as to whether they  
13 met the design values?

14 A. We were questioning the  
15 assumption that friction, at some value, was  
16 present. We didn't know. We couldn't confirm the  
17 element as a component of the diagnosis, to go  
18 back to my analogy. So, we knew speed, we  
19 understood some information about speed and we  
20 could make some determinations as to how that  
21 could be a contributing factor in outcome of  
22 events, but what we did not know was friction  
23 values.

24 Q. Okay. And if we look at  
25 the last line of 6.1.1, it states:

1 "Because of the high  
2 proportion of wet surface  
3 conditions in SMV  
4 collisions, the City  
5 could consider  
6 undertaking pavement  
7 friction testing on the  
8 asphalt to get a baseline  
9 friction coefficient for  
10 which to compare to  
11 design specifications."

12 So, you would agree with me  
13 that here it does not state that based on the  
14 design specifications, the City should develop its  
15 own baseline or threshold or come to its own  
16 conclusion regarding whether the friction testing  
17 results were acceptable?

18 A. I would agree it doesn't  
19 say that explicitly and I would also agree that  
20 the wording is "could consider" instead of "should  
21 consider," and I think it's important to put the  
22 timing -- the context of the timing of this report  
23 into the response.

24 This is in 2013. We're  
25 dealing with a smaller section of the roadway.

1 The location where wet road cashes is of greatest  
2 concern is a ramp, ramp 6, which has a significant  
3 geometric design, the tight curve through the  
4 on-ramp configuration and there's evidence of high  
5 operating speeds on the roadway, so friction is an  
6 unknown and our recommendation to the City was to  
7 learn more about that unknown piece of information  
8 in order to try to assist in the diagnosis.

9 Our report ends at that point,  
10 but that's part of what we're trying to assist the  
11 City with, is telling them where to go to make  
12 their roadways more safe.

13 Q. Right. But what's  
14 lacking in this report is any sense of how to do  
15 that. So, it does not say, for example, that the  
16 City should do friction testing multiple times so  
17 it could monitor the change in result. The only  
18 comparator that's put forward in this report is  
19 design specifications. Putting aside whether that  
20 comparison between design values and SN is  
21 accurate, it was the only method by which to  
22 compare or assess the friction results based on  
23 what was included in the report.

24 And so, would it be reasonable  
25 for City staff members on this project, who, like

1 you, are not friction experts, to read this to  
2 mean that the design specifications can be used as  
3 a baseline standard to evaluate friction testing  
4 results?

5 A. That potentially could be  
6 one interpretation. I would go back to the  
7 wording in the sentence, which is:

8 "Undertake friction  
9 testing to get a baseline  
10 friction coefficient for  
11 which to compare -- "

12 And then it says:

13 " -- to design  
14 specifications."

15 But it's for which to compare  
16 and the baseline which is the important part.  
17 Again, in our understanding, there's an absence of  
18 any information with regards to friction. That  
19 wasn't a surprise. I mean, it's not common in my  
20 experience that a road authority has a defined and  
21 organized program to measure and monitor friction.  
22 I don't know of any municipalities that had that,  
23 you know, at least publicly clearly articulated  
24 and made known.

25 What we were suggesting to the

1 City was that that is something that should be,  
2 could be, opened and undertaken to begin that  
3 process of getting the baseline from which you can  
4 compare.

5 Q. Compared to design  
6 specification. Right? It's quite clear about  
7 that.

8 A. Well, once you have a  
9 baseline, you also have a comparator to begin  
10 subsequent comparisons to. So, in the initial  
11 action, the very first time, if you haven't done  
12 it before, your comparator would be potentially to  
13 design specifications. Once you've initiated a  
14 baseline information, you also now have the  
15 ability to go back and compare to that baseline in  
16 subsequent tests if you choose to do so.

17 And my experience with  
18 friction testing, minimal as it was, was that when  
19 it is used, it is used in that comparative  
20 fashion, monitoring over some period of time, but  
21 I wasn't about to presume to tell the City how to  
22 initiate or even whether or not to undertake such  
23 a program.

24 Q. Right. So, if the  
25 guidance was get a baseline and then compare it

1 with subsequent testing results, you would agree  
2 with me that it could recommend friction testing  
3 annually, quarterly, in order to make that  
4 comparison, but this does not do that?

5 A. Well, I would disagree to  
6 some extent. I think the use of the word  
7 "baseline" does imply just that, literally the  
8 beginning point or a baseline to which future  
9 comparisons can be made, but --

10 Q. Finish that sentence,  
11 Mr. Malone. It's to compare to design  
12 specifications?

13 A. No. I was going to  
14 continue by saying my understanding was there was  
15 no friction testing available or done by the City;  
16 therefore, a baseline had not been established,  
17 nor had anything been compared to anything else.  
18 So, if there's a design specification that  
19 potentially becomes a comparator that this  
20 baseline, if and when achieved, can be compared  
21 to.

22 Q. So, you would agree with  
23 me it would have been important to note that after  
24 the City obtains that baseline, that they obtain  
25 additional testing to compare the baseline to?

1                   A.     In 2022, I would agree  
2     with you that may be something that's more clear.  
3     In 2013, the importance of friction in the  
4     diagnosis, in the determination of factors that  
5     may be causal factors in collisions was not clear  
6     at all. In fact, there were other factors that  
7     were much more clearly identified, including  
8     speed, and potentially driver behaviour.

9                   And so, I won't say this was  
10    trivialized in the report. It was a significant  
11    recommendation to include, but it was not nearly  
12    as clearly understood as to be a potentially  
13    contributing factor as it may be today. But I'll  
14    have to add I still haven't really seen any  
15    conclusion that friction was deemed to be a causal  
16    factor.

17                  Q.     I understand. And, you  
18    know, when we look at cost-benefit ratio  
19    underneath, we see that it says:

20                             "Based on the results,  
21                             the City may be in a  
22                             better position to  
23                             determine if further  
24                             action is required."

25                   And so, you know, it certainly



1 suggests that it was not a significant  
2 recommendation, and particularly combined with the  
3 use of the word "could," and so CIMA was not  
4 intentionally or had intentionally used the word  
5 "could," had confirmed that, you know, the City  
6 may be in a better position to determine if  
7 further action is required and did not require  
8 this recommendation or did not make this  
9 recommendation as a should but left it as a could?

10 A. Well, I understand your  
11 description, but I disagree that it was not a  
12 significant recommendation. The wording obviously  
13 could have been more strict, more direct, more  
14 definitive, but this was a significant  
15 recommendation in the report. I mean, we've  
16 done -- I don't know the number -- many, many road  
17 safety reports prior to this, not for the City of  
18 Hamilton but for clients across multiple  
19 jurisdictions, and I don't recall having  
20 recommended friction testing to have been done, so  
21 it was a very significant recommendation. Again,  
22 with the benefit of hindsight, there might have  
23 been a different wording, and our 2015 report  
24 adjusts that to some extent in modification of the  
25 wording and the inclusion of the recommendation in

1 that report as well.

2 Q. If you look at the rest  
3 of this report, you'll note that the phrase "the  
4 City may be in a better position to determine if  
5 further action is required" is only included for  
6 the friction testing measure.

7 And is it your practice to  
8 leave significant recommendations as optional,  
9 particularly when compared to other  
10 recommendations that you characterize as required  
11 or that they should be done?

12 A. Well, I think my view is  
13 that the recommendation was significant. We had  
14 an absence of information regarding friction and I  
15 wasn't -- I don't think we were clear as to where  
16 the City, how the City, would address this issue  
17 or what, if anything, they had already in place  
18 regarding friction.

19 And so, the recommendation is  
20 for the City to essentially look at friction, but,  
21 I mean, we're also cognizant of the potential  
22 ramification of a recommendation like this. It's  
23 one thing to recommend testing in conjunction with  
24 a study; it's another to provide a recommendation  
25 that would theoretically have suggested that the

1 City should set up a friction monitoring program  
2 and assess every road in their network and do it  
3 on such and such a schedule.

4                               You know, that's a policy  
5 decision, not an actionable item on a single  
6 assessment. And I believe that's beyond the scope  
7 of a project that CIMA would undertake or was  
8 engaged to undertake for this particular  
9 assignment. Policy decisions are managed and  
10 determined by the client, the road authority, and  
11 this is a nudge in the direction to look at  
12 friction.

13                               Hindsight, you know, may  
14 provide another view of that, but in the context  
15 of 2013 when we were doing the study, I still  
16 maintain this was a very significant position and  
17 I understand your comment.

18                               Q. Okay. Let's move on.  
19 The friction countermeasure here was listed as a  
20 short-term measure. So, again, the guidance in  
21 the report, I want to be clear, is that the City  
22 could consider doing friction testing at some  
23 point between 2013 and 2018, but that it was best  
24 left to the City to determine.

25                               And based on the language of

1 the report, do you agree with that?

2 A. I think it could be  
3 interpreted that way, yes.

4 Q. Well, it's not -- those  
5 are exactly the words that are used. Right? The  
6 word "could" is used, short-term is defined from  
7 2013 to 2018 in that under cost-benefit ratio it  
8 expressly states that the City may be in a better  
9 position. So, I appreciate that you may have a  
10 different interpretation, but those are the words  
11 that are used?

12 A. The words are there. I'm  
13 not changing them. We perhaps have different  
14 interpretations as to what they could be and with,  
15 as with any text, I'm sure they can be interpreted  
16 differently.

17 Q. Understood. Let's move  
18 on to August of 2015. Mr. Registrar, could you  
19 please turn up OD7, page 37 or image 37, and  
20 paragraph 107. Great. Thanks very much.

21 So, we talked a little bit --  
22 we heard from you a little bit about this e-mail  
23 exchange and I have a few more questions and I'm  
24 going to try not to be repetitive of the questions  
25 my friends asked you.

1                   But I take it that when you  
2   received this e-mail from Gary in August, you  
3   would have reviewed the e-mail in its entirety?

4                   A.    Yes.  I would have pulled  
5   it up and read the content, yes.

6                   Q.    Right.  And underneath  
7   the table on image 37, you'll see that it states:

8                                "In 2013, friction  
9                                numbers were measured on  
10                              the Red Hill in both  
11                              directions by Tradewind  
12                              Scientific."

13                  And I appreciate your evidence  
14   yesterday that Tradewind Scientific didn't mean  
15   anything to you, but certainly you didn't  
16   understand it to mean the MTO?

17                  A.    I asked questions about  
18   the content and received explicit responses that  
19   stated it was MTO.  The subsequent pages of this  
20   document or at least the e-mail documents that  
21   I've reviewed, and I recall very distinctly  
22   getting the e-mail with responses to my questions,  
23   and it's even paragraph 109, I asked a series of  
24   questions and Mr. Moore provided a series of  
25   responses to those.

1 Q. And you didn't seek to  
2 clarify the inconsistency between what the e-mail  
3 said and a response that Mr. Moore may have  
4 provided?

5 A. No. I did seek  
6 clarification and I got clarification.

7 Q. So, why don't we go to  
8 that e-mail. Sorry, commission counsel -- okay.  
9 Why don't we just scroll down or go to the next  
10 page, Mr. Registrar, and then the one after that.

11 And so, the last question  
12 states that:

13 "2013 test values look  
14 higher. Are they done  
15 using the same  
16 methodology and tool as  
17 the MTO work and, thus,  
18 could be directly  
19 compared?"

20 So, not quite asking whether  
21 the MTO did the testing, but Mr. Moore responds  
22 and says:

23 "The testing was done by  
24 the MTO both times, and  
25 so I would say they are

1 comparable."

2 And given the inconsistency  
3 between his statement and the e-mail that you have  
4 from 2013 or 2014, I believe, early 2014, you  
5 didn't follow up with Mr. Moore to clarify the  
6 inconsistency?

7 A. I'm sorry, I'm not sure  
8 what inconsistency you're referring to.

9 Q. So, the e-mail that you  
10 received initially from Gary says that the report  
11 was completed in 2013 by Tradewind Scientific.  
12 Here, you ask him whether the methods that were  
13 done, that were used, in the 2013 testing were the  
14 same as 2007. And Mr. Moore responds saying that  
15 the testing was done by the MTO both times, so  
16 that information is inconsistent with the e-mail,  
17 the original e-mail, you got from him, which says  
18 in 2013, testing was done by Tradewind.

19 And I want to understand or  
20 confirm that you didn't follow up with Mr. Moore  
21 to resolve the inconsistency in the information  
22 you were provided?

23 A. I'm a little confused by  
24 your question. I'll give my understanding of it,  
25 an answer to my understanding of it.

1 I thought the clarification  
2 was provided in his response, that there were two  
3 tests, 2007 and 2013, listed in the e-mail, and I  
4 asked questions regarding them and he confirms for  
5 me that the testing was done by MTO both times.

6 So, the question was: Was the  
7 testing methodology, the method that was carried  
8 out, the same? And his answer was: Yes, they are  
9 comparable, in the last half of the sentence, but  
10 the first half was that it was done by MTO both  
11 times. So, it provided two-pieces of information:  
12 That there was comparable testing, 2007, 2013, and  
13 that the testing was done by MTO during both of  
14 those times.

15 And so, for me, it answered  
16 two questions, one which was whether the testing  
17 was comparable. The original intent of the  
18 question was whether there could be any comparison  
19 between numbers in the context of baseline and  
20 subsequent comparisons that we just talked about.  
21 But the other, which was the more critical piece  
22 for me in terms of response, was that it was done  
23 by MTO. And his previous response in the e-mail,  
24 the two paragraphs before that ends with "don't  
25 know" indicates an inability of the City to



1 interpret the MTO tests.

2 Q. Okay. I want to be  
3 really clear. Is your evidence that when you  
4 asked Gary or when you stated:

5 "The 2013 testing values  
6 certainly look higher.

7 Are they --"

8 The 2013 testing:

9 "-- done using the same  
10 methodology and tool as  
11 the MTO work and, thus,  
12 could be directly  
13 compared?"

14 Is your evidence that that was  
15 you asking Gary whether MTO did the testing in  
16 2013?

17 A. No. I was asking if the  
18 methodology was the same.

19 Q. Right. So, you weren't  
20 asking whether the MTO did it, because the e-mail  
21 stated that Tradewind did that friction testing in  
22 2013?

23 A. I didn't know. I think  
24 you're twisting my words or putting words into my  
25 mouth. I didn't know what Tradewind was. I saw

1 two lists of numbers and my question was whether  
2 the two numbers were -- the methodologies used to  
3 achieve the two numbers were the same.

4 So, the first number was MTO.  
5 Tradewind didn't register with me. It does now  
6 but it didn't then. And the confirmation that  
7 came back in short order was MTO both times, and  
8 so that crystallized my understanding of the two  
9 tests.

10 Q. We'll move on. And,  
11 Mr. Registrar, if you can go back to  
12 paragraph 106. And, actually, the next page,  
13 image 37. That would work well. Thank you.

14 And so, Mr. Malone, regardless  
15 of whether you understood the MTO to have  
16 completed the 2013 results, you did understand  
17 that friction testing was completed twice on the  
18 Red Hill: Once in 2007 and once in 2013?

19 A. Correct.

20 Q. And going back to what  
21 you said earlier about the comparative value of  
22 that information, you've now had two sets of data  
23 and, you know, based on what you told me earlier  
24 about how to use that information, and certainly  
25 you could have compared that information, so the

1 2000 testing results and the 2013 testing results,  
2 and if you had any concerns with that, let the  
3 City know?

4 A. Could have or should  
5 have?

6 Q. You could have.

7 A. Could have. I don't  
8 think it was in the scope of my work. I mean, I  
9 looked at the numbers. I can see the numbers  
10 displayed. There's an increase in the averages,  
11 if you were to accumulate them all, between 2007  
12 and 2013. But the point of the issue in 2013 was  
13 for the City to undertake friction testing and the  
14 City to make interpretation, so I don't think it  
15 is appropriate, nor did I think it was  
16 appropriate, for me to make that interpretation.  
17 The intent of the request for friction testing had  
18 been to ask the City to do that gathering of the  
19 information and interpretation of subsequent  
20 results.

21 There are some results, but my  
22 understanding concurrently, as it was received,  
23 was that it was not done by the City; it was done  
24 by MTO. And there's a negative response with  
25 respect to interpretation of the results.

1 Q. If the MTO had concerns  
2 with the testing results of 2007 and -- although  
3 we know that they do not do testing in 2013. If  
4 they had concerns with the results, you would have  
5 expected them to have raised any concerns with the  
6 data?

7 A. Yes.

8 Q. And Gary did not share in  
9 his response any concerns that the MTO had  
10 expressed about the data?

11 A. The extent of the  
12 communication with Mr. Moore is in the e-mail  
13 threads we just looked at.

14 Q. Understood. Can we  
15 please go to HAM24709 and specifically image 41,  
16 please.

17 And so, if we look at --  
18 pardon me, I'm just going to find my reference --  
19 the first line of the second paragraph under  
20 7.1.2.1, so this is the friction testing, the  
21 guidance provided with respect to friction  
22 testing, in the 2015 report. And you'll note that  
23 from that first sentence that it is exactly the  
24 same as what was included in the 2013 testing?

25 A. I do.

1 Q. In your discussions with  
2 commission counsel yesterday, your evidence was  
3 that the purpose of the friction testing in 2013  
4 was for the City to come to the conclusion as to  
5 their own assessment and that it wasn't CIMA's  
6 task to measure friction and that that's something  
7 the City needed to do using whatever technique and  
8 method they elected.

9 And so, it was your  
10 expectation that the City would select a baseline,  
11 assess the friction testing results in a way that  
12 would have ruled out inadequate skid resistance.  
13 Is that right?

14 A. I believe so. I don't  
15 have the testimony in front of me, but yes.

16 Q. Right. And at no point  
17 did you send an e-mail detailing that expectation  
18 to the City?

19 A. I'm sorry, I want to make  
20 sure I understand the context. Between 2013 and  
21 2015?

22 Q. At any point in 2013 or  
23 2015, did you tell the City that they needed to  
24 select their own baseline and assess the friction  
25 testing in a way that could have ruled out

1 inadequate skid testing, that they need to come up  
2 with their own methodology or threshold to do  
3 that?

4 A. I think the  
5 recommendation in the 2013 report did articulate  
6 the action.

7 Q. But did it detail the way  
8 in which to do that?

9 A. I think I answered that  
10 question already. It stated it a certain way. In  
11 the context of 2013, I think it was appropriate.

12 Q. The 2015 report that we  
13 see here does not contain any further details on  
14 what you expected the City to do with respect to  
15 friction testing. Wouldn't you agree with me,  
16 Mr. Malone, that it was important for you to tell  
17 your client clearly and in more detail that they  
18 needed to select a baseline or assess the friction  
19 testing results in a way that could rule out  
20 inadequate skid resistance, other than the only  
21 guidance that was provided in these reports, which  
22 was to compare it to the design value?

23 A. There's a couple of  
24 things there. First of all, the 2015 report has  
25 several sections. I can't remember the title of

1 the section 7, but I think that's important to  
2 review, because I know friction testing is also  
3 listed in section 9. The wording in section 9 is  
4 the inclusion of actions that are being brought  
5 forward to the City, and I think that should be  
6 reviewed as well. I accept --

7 Q. Sorry. I didn't mean to  
8 cut you off. Please proceed.

9 A. I accept that this is  
10 similar to what was in the 2013, but we're  
11 overlapping several items here, but your question  
12 was the same, that should CIMA have defined the  
13 City's friction testing program to attempt to  
14 summarize it, and I still take the position that,  
15 no, it would not be CIMA's position to do that.

16 Any more than an example would  
17 be for the City to -- for CIMA to recommend that  
18 the City use MTO geometric design guide for their  
19 roads as opposed to TAC geometric design guide.  
20 There are two options to select. The road  
21 authority can make their own choice and they  
22 should have the professional capability to do  
23 that.

24 My view was that the  
25 recommendations for friction testing in 2013 and

1 again in 2015 were in a similar vein. We were  
2 recommending that they undertake some action, but  
3 we were not telling them how to undertake that  
4 action nor precisely how to interpret it.

5 Q. Mr. Malone, if we use  
6 your analogy from earlier, that, you know,  
7 consultants acting as medical professionals that  
8 review the health of the roadway, wouldn't it make  
9 sense for a consultant to say, here is the testing  
10 that you should do, here is the bloodwork, and  
11 here is how you know if it is a problem or not,  
12 here is how you know whether it is fine and it's  
13 not contributing to your symptoms, how is the City  
14 expected to implement this recommendation without  
15 further information about how to do that?

16 A. Well, I think the City is  
17 fully capable of making determinations as to how  
18 to receive information on technical matters. If  
19 they have the expertise in-house, which I was not  
20 aware whether they did or did not, then that would  
21 be potentially how they would achieve it.

22 If they didn't have that  
23 information -- that capability in-house, then they  
24 were perfectly capable of hiring external  
25 consultants to assist them with the process. They



1 hired CIMA to assist with safety assessments.  
2 Sometimes you hire external consultants because  
3 you don't have the capacity in-house, even though  
4 you may have the technical capability, but you  
5 need capacity assistance to get it done. And in  
6 other cases, you don't have the technical  
7 expertise, so you hire an external consultant.

8 The direction from CIMA in the  
9 recommendation in 2013 was to perform friction  
10 testing, and the City can make that determination  
11 as to how to do that, and I don't think it's up to  
12 CIMA to tell them how exactly to achieve it.

13 Q. And I take it that at no  
14 point did you recommend to the City that they  
15 engage a consultant or provide suggestions for  
16 consultants with friction testing expertise?

17 A. That would get me in  
18 trouble with the purchasing department, so no.

19 Q. Making a recommendation?

20 A. Well, we would not  
21 recommend specific consultants. If I was asked, I  
22 have been asked in the past on different subject  
23 matters, you know, I could potentially offer a  
24 name or names of multiple consultants in a subject  
25 area, but the initiation of that engagement would

1 be from the client as opposed to from the  
2 consultant because it would be perceived as me --  
3 inappropriate action on behalf of an external  
4 consultant. There are purchasing processes within  
5 the City that I'm well familiar with. Hamilton is  
6 similar to others, and so, you know, we don't  
7 delve into that matter as to how to do it.

8 Q. I would like to move on  
9 just in the interest of time. Mr. Registrar, if  
10 you could please go to image 56. And I would like  
11 to discuss illumination, and particularly in the  
12 context of the 2015 report.

13 A few times during your  
14 evidence so far you've stated that the fact that a  
15 countermeasure meets a warrant doesn't mean that  
16 it's warranted; that is to say, it doesn't mean  
17 that it should be implemented and that additional  
18 analysis is required to form your recommendation.

19 And I take it that the BC  
20 analysis is an important part of that additional  
21 analysis. Is that correct?

22 A. It could be. As was  
23 noted, the Ministry warrant included a  
24 benefit-cost analysis component. The TAC warrant  
25 does not.

1 I think the point I was trying  
2 to make was simply that achieving meeting a  
3 warrant as defined or as worded in this context  
4 doesn't mean that it must be done. The warrant is  
5 an analysis tool and it gives you an assessment,  
6 which is information that then goes into a  
7 decision-making process.

8 Q. I understand. And here,  
9 the -- sorry. I take it that it's important for a  
10 BC analysis to have an accurate sense of the cost,  
11 whether that's part of the MTO warrant or just a  
12 standard BC analysis. Is that fair to say?

13 A. It's the denominator in  
14 the calculation, which doesn't mean much without a  
15 cost. So, yes, cost should be accurate;  
16 therefore, the benefit-cost ratio will be more  
17 accurate.

18 Q. Right. And, here, the  
19 estimated installation or the estimated cost,  
20 rather, for installing continuous illumination is  
21 \$810,000. And I understand that in 2019, when  
22 CIMA does its illumination review, and I'm not  
23 going to ask you about it, but the cost that it  
24 estimated ultimately was much more significant  
25 than \$810,000. Is that right?

1                   A.    That's my recollection,  
2    yes.

3                   Q.    And so, that would impact  
4    the BC analysis that we see here?

5                   A.    Certainly if costs  
6    change, the benefit-cost ratio will change.

7                   Q.    Okay.  And if we could go  
8    to image -- sorry, I see Ms. Lawrence is on the  
9    screen.  I'm happy to --

10                  MS. LAWRENCE:  I'll interrupt  
11    if I need to.

12                  MS. CONTRACTOR:  Okay.

13                  BY MS. CONTRACTOR:

14                  Q.    If we could go to 57,  
15    image 57, please.  And if we could zoom in or call  
16    out the install continuous illumination  
17    recommendation at the bottom of the chart, the  
18    last one.  Thank you very much.

19                  And so, I want to understand  
20    what CIMA's recommendation was in 2015 with  
21    respect to continuous illumination, because here I  
22    see the countermeasures listed as install  
23    continuous illumination, the cost is \$810,000,  
24    it's a long-term timeline.  And then the comment  
25    states that:

1 "This requires sound  
2 evaluation in the context  
3 of the surrounding  
4 network and environment  
5 and that an environmental  
6 assessment will be  
7 required."

8 And so, is CIMA's  
9 recommendation here for the City to conduct a  
10 sound evaluation in the context of the surrounding  
11 network and environment in assessing continuous  
12 illumination? Is that what the recommendation is  
13 here?

14 A. I think the  
15 recommendation is begin the process to install  
16 continuous illumination, and the process will  
17 include a sound evaluation, consideration of the  
18 network, an environmental assessment, design,  
19 construction, installation and so on and so forth,  
20 so there are a series of steps. In the most  
21 simplistic manner, that's all in the realm of  
22 install the continuous illumination, because  
23 they're all steps towards installation, but I  
24 accept your point.

25 Q. Right. And by that, you

1 mean it may be that through the required sound  
2 evaluation, it may not ultimately be feasible for  
3 whatever reason to install continuous  
4 illumination. Right? The recommendation here is  
5 analyze this in the context of surrounding network  
6 and environment, and noting that an EA will be  
7 required?

8 A. Every one of the  
9 recommendations on the page, on the table, are in  
10 that same context. There needs to be some  
11 consideration of the realities and the road  
12 authority needs to determine how to go down the  
13 path towards dealing with them.

14 Clearly with install  
15 continuous illumination, there are many more steps  
16 and it's much more complicated than something like  
17 trim the vegetation or install a sign. But  
18 regardless, there are steps to be achieved towards  
19 the completion of concluding each of these  
20 countermeasures and fully recognizing along that  
21 process in any individual countermeasures, the  
22 steps may result in termination of the process,  
23 including things as simple as budgets.

24 Q. So, fair to say that the  
25 recommendation here is to take the first step

1 towards continuous illumination, which is  
2 described in the comment there?

3 A. Well, I believe it  
4 implies that. I don't think that lengthy a  
5 description of the countermeasure is appropriate  
6 for the column. The countermeasure is install  
7 continuous illumination and it can only be  
8 achieved by beginning the process. And I agree  
9 there are multiple steps and, in fact, that's why  
10 it's partly identified as a long-term item.

11 Q. Okay. Let's move on and  
12 perhaps we'll revisit this as your next  
13 attendance.

14 JUSTICE WILTON-SIEGEL: I want  
15 to mention for your own benefit so you can  
16 organize, if necessary, that you have ten minutes  
17 left.

18 MS. CONTRACTOR: Thank you,  
19 Mr. Commissioner. I think the last set of  
20 questions -- I'm on my last set of questions.

21 BY MS. CONTRACTOR:

22 Q. And, Mr. Malone, your  
23 evidence yesterday was that you understood  
24 continuous illumination of the main line to be  
25 part of the City's scope for the 2013 CIMA report

1 until your call with Mr. Moore. Is that correct?

2 On June 3. Sorry, June 6.

3 A. No. I'm not sure I would  
4 word it that way. There was, to me, a vague  
5 description of what the scope was. It simply said  
6 illumination. I do accept and agree that our  
7 internal process at CIMA, as we began to work on  
8 the assignment, was to go in the direction of  
9 doing assessment of both main line, ramp and  
10 interchange lighting, but I'm not sure that the  
11 scope had been clarified for us, so I don't agree  
12 that we changed the scope. I think there was lack  
13 of clarity in the scope that was provided as we  
14 were proceeding, actions were running in parallel,  
15 we were doing analysis and continuing to gather  
16 information that assisted us in confirming scope.  
17 And when scope was clarified, the work was either  
18 terminated or not included.

19 Q. Let me put it another  
20 way. Before your call -- your evidence is before  
21 your call with Mr. Moore, you had no reason to  
22 believe that continuous illumination was not in  
23 scope and, after the call, you took it to mean  
24 that continuous illumination was not in scope?

25 A. Well, no. It's slightly



1 different. Before the call -- the call was  
2 generated, initiated, because of commentary that  
3 came out of the meeting with the project staff.  
4 So, the project staff pointed CIMA at Mr. Moore as  
5 a source of information to assist in getting  
6 clarification, so the reason for the call to  
7 Mr. Moore was because there had been question  
8 regarding scope that surfaced at that meeting, and  
9 that was the origin. They're literally hours  
10 apart, but the sequence of events is clear to me.  
11 We didn't call Mr. Moore out of the blue, you  
12 know, asking him to define scope for a project for  
13 another office. We were directed to speak to him  
14 by the project team, which we did, and given that  
15 he was indicated to be the authority on the  
16 subject, the clarification became clear.

17 I mean, I have since read the  
18 2013 motion from council and, you know, the motion  
19 says upgrade lighting in the vicinity of the Mud  
20 interchange. It doesn't say main line lighting  
21 and I wasn't aware of the motion at that time, but  
22 I'm sure that the City staff were and perhaps  
23 that's what motivated the need for a question and  
24 the subsequent discussion.

25 Q. Okay. And I understand

1 that you did not interpret Mr. Moore's comments  
2 regarding the environmental assessment and the  
3 illumination as Mr. Moore directing you on what to  
4 put in CIMA's report. Rather, he was simply  
5 highlighting that main line lighting had not been  
6 provided in the original design and construction  
7 of the Red Hill in compliance with the EA  
8 approvals?

9 A. Yes. I think that's a  
10 correct interpretation.

11 Q. And no one else from the  
12 City that was involved with the 2013 staff report  
13 similarly made any direction telling CIMA that  
14 continuous illumination was not in scope?

15 A. No, that's not correct.  
16 Mike Field provided an e-mail in August, I think  
17 it was, where he was commenting on the draft of  
18 the report and he confirmed, and I believe this is  
19 an internal e-mail to the City but I've read it  
20 since preparing for the testimony, that the City  
21 provided CIMA information with respect to the  
22 scope and the main line lighting not being in  
23 scope. I don't have the exact wording, but --

24 Q. So, why don't we go to  
25 that. Mr. Registrar, please, we'll need

1 chapter 6, paragraph 98, which doesn't help you.  
2 There's a page number. Let me try to find that  
3 quickly. Image 43, please. Thank you. And so,  
4 it's the last two paragraphs, if we could call  
5 that out. I'm sorry, the last two paragraphs of  
6 paragraph 98. The last two bullet points. Thank  
7 you.

8 So, this is the e-mail that  
9 you're referring to, Mr. Malone?

10 A. Yeah.

11 Q. Okay. And here,

12 Mr. Field states:

13 "The illumination of the  
14 main line has been  
15 excluded. This decision  
16 is based upon information  
17 that we provided to CIMA.  
18 The exclusion is not well  
19 explained. Considering  
20 that illumination of the  
21 main line is the first  
22 request in the council  
23 motion, I think that  
24 there should be far more  
25 explanation as to why

1 it's excluded."

2 And here, Mr. Field is  
3 referring to an exclusion that was made based upon  
4 information that the City provided to CIMA. He  
5 does not state that the City changed it's view  
6 regarding continuous illumination being part of  
7 the scope of the 2013 report, which he notes was  
8 part of the motion?

9 A. Well, it was not part of  
10 the motion.

11 Q. I understand, but --

12 A. Well, so it's a  
13 misunderstanding or misinterpretation of the  
14 motion, and I would disagree with you. I think  
15 the first line is clear:

16 "Illumination of the main  
17 line has been excluded."

18 Which is correct. It was  
19 based on information provided that we, the City,  
20 provided to CIMA, which, to my understanding, is  
21 correct. The exclusion is not well explained, was  
22 the comment. We accepted -- ended up receiving  
23 that input and provided additional explanation of  
24 the context of exclusion, being the environmental  
25 assessment and other approvals, but I think the

1 last sentence is an error, illumination of the  
2 main line is the first request. Illumination, the  
3 wording, was in the request, but it specifically  
4 states upgrade lighting in the vicinity of the Mud  
5 interchange. It doesn't say main line lighting in  
6 any way.

7 Q. Am I correct, Mr. Malone,  
8 that the only basis on which you understood  
9 illumination was excluded in the 2013 report were  
10 the design constraints?

11 A. Well, approval  
12 constraints, environmental assessment approvals  
13 particularly.

14 Q. Sure. Yeah. And that's  
15 correct?

16 A. The initial discussion  
17 was that, yes. That's where the clarification of  
18 scope came from, but other input, including such  
19 as this, confirmed for me that it was in fact  
20 excluded. So, the scope clarified, became clear  
21 over some period of time, and was perfectly clear  
22 in my mind prior to issuing the version of the  
23 report, the first version that we issued to the  
24 City --

25 Q. And that clarity was

1 based on the environmental approvals or the design  
2 approvals?

3 A. And, sorry, I was just  
4 going to say that as early as the very first draft  
5 that CIMA began to prepare, E00V01, when  
6 Dr. Hadayeghi and myself review the content, we  
7 asked the question about in scope, not in scope,  
8 and there clearly was a difference of view within  
9 CIMA, and I would clarify that as a lack of  
10 understanding, as to what we took to be the scope.  
11 But by the time the first report is issued to the  
12 City, that misunderstanding, lack of  
13 understanding, has been perfectly clarified.

14 And certainly the information  
15 came from the project team, speak to Mr. Moore.  
16 We spoke to Mr. Moore. He is very clear and  
17 provides good information that indicates that  
18 there are constraints on lighting in the valley  
19 that had been put in by a very, very rigorous  
20 process that had taken years, if not decades, to  
21 complete, and so that became a hard stop for the  
22 inclusion of that component.

23 Q. And those constraints  
24 didn't change between the 2013 and the 2015  
25 report. Correct?

1                   A.    To my knowledge, the  
2    constraints defined or described did not change,  
3    no.  The direction to adhere to the constraints or  
4    not or ignore the constraints was what changed.

5                   Q.    So, you've told me that  
6    your discussion from Mr. Moore, your  
7    interpretation of that was not that -- you didn't  
8    interpret that as Mr. Moore telling you what to  
9    include in the report.  And so, is your  
10   understanding of the scope solely based on  
11   Mr. Field's e-mail?  I just want to understand the  
12   base of your understanding.  Is it solely  
13   Mr. Field's e-mail?

14                  A.    No.  I think Mr. Moore's  
15   input provided clarity, began to clear the fog  
16   with respect to what the scope was, and I think  
17   I've explained the process that we went through  
18   and it was clear in our minds when we completed  
19   the first version of the report issued.

20                  Q.    Mr. Commissioner, I note  
21   that it's 3:02.  I do have a number of other  
22   questions, but I appreciate your direction, so  
23   I'll call it a day.

24                  JUSTICE WILTON-SIEGEL:  Okay.  
25   Thank you.

1 MS. CONTRACTOR: Thank you for  
2 your time, Mr. Malone.

3 THE WITNESS: Thank you.

4 JUSTICE WILTON-SIEGEL:  
5 Ms. Lawrence.

6 MS. LAWRENCE: Thank you. I  
7 understand that counsel for Dufferin may have a  
8 very short examination.

9 JUSTICE WILTON-SIEGEL: Okay.

10 MS. LAWRENCE: That was based  
11 on some dated information, so I would ask Mr. Buck  
12 just to confirm.

13 MR. BUCK: That's correct. It  
14 shouldn't be longer than five or ten minutes.

15 JUSTICE WILTON-SIEGEL: Okay.  
16 Mr. Buck.

17 MR. BUCK: Thank you,  
18 Mr. Commissioner and commission counsel.

19 EXAMINATION BY MR. BUCK:

20 Q. Good afternoon,  
21 Mr. Malone. I just want to ask a couple of very  
22 short questions, hopefully, about the study limits  
23 of the 2013 and 2015 CIMA reports.

24 Can I ask the registrar to  
25 pull up OD6, image 25, and if you can call out the



1 bottom diagram, please, Mr. Registrar.

2 So, Mr. Malone, this is an  
3 extract taken from the 2013 CIMA report. Does  
4 this accurately reflect the study limits of that  
5 report?

6 A. No, not precisely. I  
7 think it extends too far to the north, beyond  
8 Greenhill, and too far to the west, past the  
9 Dartnall interchange. It's, you know,  
10 approximate, but the limits were more clearly  
11 defined, I think, in the overall scope.

12 Q. So, where would you say  
13 on this diagram, where would the limits, is it the  
14 limits in green to the far west? Is that too far?

15 A. The scope, I'm going by  
16 recollection, I don't have it in front of me, the  
17 scope was from the Dartnall interchange to the  
18 Greenhill interchange. There's a line somewhere  
19 west of the Dartnall interchange where the LINC  
20 ends and the Red Hill Valley Parkway begins. I  
21 think it's just after or just -- where the on and  
22 off-ramps are located, so that would be slightly  
23 closer to the interchange in the green area.

24 Q. In the green?

25 A. Yeah. And on the

1 Greenhill interchange, again, the line is showing  
2 it all the way up past. My recollection was that  
3 it ended at Greenhill, but it probably did include  
4 the on and off-ramps on the north side as well.

5 Q. Okay. Can I ask the  
6 registrar to pull up Hamilton 702 and if you can  
7 go to image 9.

8 So, this is the 2015 CIMA  
9 report. Is that a better description of the study  
10 area?

11 Mr. Registrar, can you call  
12 out the diagram again, the figure 1 study area.

13 So, this is taken from the  
14 2015 CIMA report and you can see that the study  
15 area is highlighted again. If we just concentrate  
16 on the western portion here, we can see Dartnall  
17 Road. Underneath that, we can see Pritchard Road.  
18 I don't know whether you can read that. It's  
19 quite small. And it proceeds almost all the way  
20 to the QEW to the north.

21 Does that accurately reflect  
22 the study area of the 2015?

23 A. Yes, it more accurately  
24 reflects it. The very initial communication about  
25 the 2015 study was that it would begin where the



1 that based on the study limits that the City of  
2 Hamilton expressed to you first to report or is it  
3 based on something else?

4 A. There's actually a sign  
5 on the road. The LINC was constructed first and  
6 completed and there's a line on the roadway  
7 somewhere where there's a distinction between the  
8 two. So, what we wanted to make sure from CIMA's  
9 perspective was that we would gather information,  
10 all the information, and then parse that  
11 information appropriately into the LINC group or  
12 the Red Hill group depending on what we were  
13 analyzing in terms of conditions and such. The  
14 fact that it's in the middle of the main line,  
15 it's not at the interchange, makes the division  
16 relatively straightforward. Collisions could be  
17 assigned and there weren't very many collisions on  
18 the main line for which confusion would occur, but  
19 there's a sign roadway if you drive out there and  
20 that's the line that we used for our demarcation.

21 Q. Thank you. That's very  
22 helpful. And to your knowledge, that sign is not  
23 related to the project limits of the construction  
24 that took place in 2007?

25 A. No, I don't think so,

1 because in 2007 the LINC existed -- prior to 2007,  
2 I should say, the LINC existed and it connected to  
3 Dartnall Road, and that was the exit, the terminus  
4 point. And then the construction of the Red Hill  
5 picked up from that point and eventually the two  
6 were connected. But this demarcation point I'm  
7 talking about is somewhere between, on this  
8 diagram, Pritchard Road or Dartnall Road and Upper  
9 Ottawa, so there was actually an overlap in the  
10 pavement in the construction piece. I'm not  
11 familiar with exactly who constructed what,  
12 where --

13 Q. No, that's fine. I don't  
14 expect you to. If you can take down the call out,  
15 Mr. Registrar, and if you can bring up Hamilton  
16 51990. You'll recognize this document as the  
17 progress meeting number 2 from July 3, 2013. And  
18 if we can go to image 9? No. Image 4, I believe.

19 So, this is possibly a more  
20 accurate representation of the segments that were  
21 split up for the 2013 CIMA study, and we can see  
22 that there's main line sections numbered Dartnall  
23 1 through 5 and a ramp 3, all of which are to the  
24 west in the end of the main line. And I think we  
25 can see that the Mud Street interchange begins at

1 the bottom right, which is the kind of  
2 southernmost end of the parkway before it turns  
3 towards Dartnall Road. Is that correct?

4 A. I can see ramp 6, so yes.  
5 I think this is an accurate description of the  
6 segmentation that was done for our purposes and  
7 graphically shows the area.

8 Q. And you would agree that  
9 all of Dartnall 1 through 4 and ramp 3 are all  
10 west of Mud Street?

11 A. Yes, they are.

12 Q. And Dartnall 5, I  
13 believe, may -- I think Dartnall 5 is also west of  
14 Mud Street, but it partially, on this diagram,  
15 appears to cross Pritchard Road, which is that  
16 line coming through?

17 A. Yeah. It's the piece  
18 between the two interchanges.

19 Q. In the lighter blue  
20 colour?

21 A. Correct, yeah.

22 Q. Let me just check my  
23 notes, but I think I do not have any further  
24 questions.

25 JUSTICE WILTON-SIEGEL: Okay.

1 Thank you.

2 MR. BUCK: Thank you.

3 JUSTICE WILTON-SIEGEL:

4 Ms. Lawrence.

5 MS. LAWRENCE: I'm noting the  
6 time, Commissioner. It's 3:12. Recognizing we're  
7 trying to stay on a tighter schedule today, I  
8 would ask that we take our break now so that my  
9 re-examination can be as targeted as possible.

10 JUSTICE WILTON-SIEGEL: Okay.

11 Let's take our break. We'll return at 3:20.

12 --- Recess taken at 3:12 p.m.

13 --- Upon resuming at 3:21 p.m.

14 FURTHER EXAMINATION BY MS. LAWRENCE:

15 Q. Thank you, Mr. Malone. I  
16 just have a few questions in re-exam. Ms. Roberts  
17 asked you today a question about the 2015 CIMA  
18 report which has signature lines but had no  
19 signatures.

20 In 2015, was it CIMA's  
21 practice to send hard copies as well as electronic  
22 copies?

23 A. If the client requested  
24 it, yes.

25 Q. Do you have a

1 recollection of whether that happened in this  
2 case?

3 A. To be honest, I don't.  
4 Our process currently is if we sent a hard copy,  
5 we do a scan of the hard copy. I suspect that  
6 what occurred in 2015 was we created the PDF  
7 document from the Word document and then signed,  
8 potentially signed, the hard copies but didn't  
9 have a scan of the signatures. It's possible it  
10 went unsigned, but if it was hard copy, it would  
11 have been likely a signed version and I don't know  
12 why we don't have a copy document that indicates a  
13 signature if in fact we did sign it.

14 Q. Thank you.  
15 Ms. Contractor asked you some questions near the  
16 beginning of her examination in respect of your  
17 understanding of City staff members and their  
18 expertise in friction testing, and you said you  
19 didn't know whether City staff members had  
20 expertise in friction testing or did not have such  
21 expertise. Do you remember that exchange with  
22 Ms. Contractor?

23 A. I do, yes.

24 Q. Ms. Contractor didn't  
25 define staff members, City staff members, when she



1 asked you those questions. Did you view Mr. Moore  
2 as an engineer with expertise in friction and  
3 friction testing in 2013?

4 A. I think my interpretation  
5 would be he would be someone who would have  
6 expertise in it, given his intimate knowledge of  
7 the design of roadways for the City, but my answer  
8 would be the same. I didn't know whether he did  
9 or did not explicitly have that knowledge.

10 Q. And I was asking  
11 specifically about your understanding in 2015,  
12 pardon me, in 2013. What about in 2015 in respect  
13 of Mr. Moore's expertise, do you have the same  
14 answer or a different answer?

15 A. I think it would be the  
16 same answer.

17 Q. Okay. You were taken to  
18 the 2015 CIMA report by Ms. Contractor, section 7,  
19 and in that exchange, it was about friction  
20 testing, and you said I think there is additional  
21 information in section 9.

22 Registrar, could you bring up  
23 HAM24709, please, and if you could go to internal  
24 page 46 of the report. Apologies, Registrar, you  
25 don't have the image handy. I suspect it's

1 image 52. So, close. Can you go one more  
2 image up. Thank you. And if you could call out  
3 9.1.3, please.

4 Was this the section that you  
5 were referring to when Ms. Contractor took you to  
6 section 7?

7 A. Yes.

8 Q. So, here, you say in the  
9 second -- well, I'll just read out the whole  
10 thing:

11 "In order to determine  
12 whether low pavement  
13 friction may be  
14 contributing to  
15 collisions, especially  
16 wet surface, the City  
17 should consider  
18 conducting pavement  
19 friction testing under  
20 normal circumstances as  
21 well as under typical wet  
22 pavement conditions  
23 encountered on the RHVP.  
24 Special focus should be  
25 given to King Street and

1 the Queen Street

2 interchanges."

3 You give an estimated cost.

4 And then it says:

5 "Depending on the test

6 results, the City will be

7 able to determine if

8 further action is

9 required."

10 Here, you use the phrase

11 "should consider," quote, unquote, and you gave

12 some evidence about, in your profession, what

13 should consider means. Do you remember those

14 questions and those answers?

15 A. I do, yes.

16 Q. You said in response to

17 Ms. Contractor's questions:

18 "Traffic professionals

19 understand the different

20 meanings between should

21 consider and could

22 consider."

23 Do you remember that?

24 A. Yes.

25 Q. Did you view Mr. Cooper,

1 Mr. Ferguson and Mr. White as traffic  
2 professionals with whom you would have the shared  
3 understanding of that language?

4 A. I believe so, yes.

5 Q. Ms. Contractor asked --  
6 this was in respect of friction testing -- would  
7 it be reasonable for City staff members on this  
8 project who, like you, are not friction experts,  
9 to read -- and I'm just going to -- she said  
10 "this," that was in reference to the friction  
11 testing recommendations, she said:

12 "To mean design  
13 specifications to be used  
14 as a baseline standard to  
15 evaluate friction testing  
16 results."

17 Do you remember Ms. Contractor  
18 asking that question?

19 A. I do, yes.

20 Q. Did you understand  
21 Mr. Cooper, Mr. Ferguson and Mr. White to be road  
22 safety experts, like you are, even if they were  
23 not friction experts?

24 A. I don't know if they have  
25 ever been qualified as experts in court, for

1 example, but they certainly had extensive  
2 knowledge about road safety, so the application of  
3 the term "expert" is --

4 Q. That was poorly worded.  
5 You understood them to have expertise in road  
6 safety?

7 A. Yes, yes.

8 Q. What assumptions, if any,  
9 did you make about the level of knowledge that  
10 those three individuals would have when it came to  
11 the potential effect of pavement surface friction  
12 on collisions?

13 A. I think they -- I want to  
14 word it correctly for you. I think my  
15 understanding is that they would have a similar  
16 understanding to what my intention had been and  
17 the way we had described the connection of  
18 friction to road safety, so I don't think the  
19 concept would have been foreign to them in any  
20 way. I know that they're all engineering  
21 technologists and I believe they're all certified  
22 engineering technologists with their professional  
23 association and would have been through design  
24 engineering training that would have discussed  
25 road friction, so they would have a fundamental

1 knowledge consistent with what I've described.

2 Q. So, not friction experts,  
3 but an understanding of friction, the effect of  
4 friction, on collisions in the same manner that  
5 you do?

6 A. Yeah. As I stated, I  
7 don't know who would have been friction experts,  
8 if anyone, at the City, "experts" in quotes, but I  
9 believe they would have knowledge and  
10 understanding of the concept of friction in  
11 regards to its importance in road safety.

12 Q. Thank you. When issuing  
13 this report with the last phrase:

14 "Depending on the test  
15 results, the City will be  
16 able to determine if  
17 further action is  
18 required."

19 What further action did CIMA  
20 have in mind?

21 A. Reading it now, I'm not  
22 sure we -- well, clearly we didn't define anything  
23 for them. I would still take the view that it  
24 would be up to the City to determine what further  
25 action to undertake, whether that might mean

1 additional friction testing, determination of what  
2 would be considered an acceptable or an  
3 appropriate or the friction levels and values the  
4 City was going to use, and I think it would also  
5 go into the realm of determining what additional  
6 resources, whether that's internal or external,  
7 might be needed to assist in evaluating and acting  
8 upon results that would have been achieved.

9 Q. Thank you.

10 Ms. Contractor asked you some questions about the  
11 use of timelines in CIMA reports and, in  
12 particular, she suggested to you that it was  
13 important to include timelines in CIMA's  
14 consultant reports, and there was a number of  
15 exchanges about that.

16 Do you remember those  
17 exchanges with Ms. Contractor?

18 A. Not word for word.

19 Q. Sure, but you remember  
20 them just from an hour ago?

21 A. I recall the discussion,  
22 yes.

23 Q. Okay. Taking a  
24 hypothetical, if in a road safety report CIMA came  
25 to the professional conclusion that there was a

1 significant and urgent safety issue, in your view,  
2 would you have a professional obligation to  
3 provide a timeline to move quickly to a client?

4 A. Our practice, if we  
5 identified -- and I just want to use your wording  
6 exactly as you provided it, so tell me if I have  
7 it wrong. Urgent and immediate safety issue, is  
8 that what you said?

9 Q. I think I said  
10 significant and urgent.

11 A. So, if we identify  
12 something that would be called a significant and  
13 urgent issue, we would typically communicate  
14 immediately with the client. And I'll give a  
15 trivial but a relevant example.

16 If we're investigating an  
17 intersection and we identify that the traffic  
18 signal is not operating, then we communicate with  
19 the client immediately. We don't wait to write  
20 the report and say, when we visited, the light was  
21 not operating.

22 So, it doesn't come into play  
23 if there's an immediate element to be identified  
24 into the report in terms of timeline because it  
25 would already have been communicated to the road



1 authority for action that we would assume could  
2 take place as soon as possible.

3 Q. Okay. Apart from those  
4 circumstances where you address something that  
5 appears urgent in your view, what is the purpose  
6 of CIMA providing timelines or prioritization in  
7 their reports in terms of countermeasures?

8 A. Oftentimes the provision  
9 of timelines is at the request of the client,  
10 because they're trying to coordinate it with their  
11 internal planning procedures. And there's also,  
12 as we've talked about previously, a connection to  
13 the reality of the action, whether it can be done  
14 in a short timeframe based on the nature of the  
15 work or would necessitate a longer, more detailed  
16 process.

17 And so, in some cases,  
18 including timelines is valuable, useful for the  
19 client, because it clarifies for readers,  
20 particularly readers that may not be fully  
21 particular with the subject matter but are  
22 interested in the recommendations, that what a  
23 potential timeline would be.

24 An example here being  
25 illumination could not be done in a short period

1 of time, would more likely be a long period of  
2 time, so that's part of why it's provided.

3 Q. Thank you. I didn't mean  
4 to -- sorry, were you finished?

5 A. No. I was just trying to  
6 confirm that I've answered your question.

7 Q. Yes. Thank you  
8 Ms. Contractor took you to the summary table and  
9 the long-term recommendation of install continuous  
10 illumination.

11 Registrar, can you pull that  
12 up. It's the same document and it is page 50.  
13 And perhaps you can just go image by image. It is  
14 likely image 58. There we go. Thank you. Just  
15 at the bottom.

16 And, in your response, you  
17 characterized this countermeasure as partly  
18 identified as a long-term item, and I'm quoting  
19 from you. Just to clarify, what did you mean by  
20 partially identified, because it looks to me like  
21 it's identified entirely as a long-term  
22 countermeasure?

23 A. I don't recall my exact  
24 wording, but I think what I was intending to say  
25 is it is a long-term timeline for the completion

1 of the action. Some of those would take place  
2 sooner than later. So, a review or an extended  
3 further review, as described, of the evaluation in  
4 the context of the surrounding network, and then  
5 something like an environmental assessment, would  
6 be steps towards completion. So, some parts of  
7 the activity will take place sooner than others  
8 will.

9 The overall expectation before  
10 completion of installation of continuous  
11 illumination would be in the long term, but  
12 whether you start tomorrow or you start next year  
13 or you start in five years, there's still multiple  
14 steps to go through.

15 Q. Thank you. Commissioner,  
16 just give me a moment to check my notes, please.

17 Thank you. Commissioner,  
18 those are my questions.

19 JUSTICE WILTON-SIEGEL: Thank  
20 you. Perhaps, Mr. Registrar, you can take that  
21 down.

22 Mr. Malone, thank you very  
23 much for appearing before the inquiry. You're  
24 excused.

25 THE WITNESS: Thank you,

1 Mr. Commissioner.

2 JUSTICE WILTON-SIEGEL: Our  
3 next witness is Mr. Applebee, I gather. Is he  
4 available to start immediately or do we need any  
5 time for set up?

6 MS. LAWRENCE: I believe he is  
7 available. I need just less than five minutes to  
8 reorient my own station, so if we could take a  
9 very brief break so we can get Mr. Applebee.

10 JUSTICE WILTON-SIEGEL: Let's  
11 start again at a quarter to 4:00.

12 --- Recess taken at 3:39 p.m.

13 --- Upon resuming at 3:46 p.m.

14 MS. LAWRENCE: Commissioner,  
15 may I proceed?

16 +JUSTICE WILTON-SIEGEL:  
17 Please proceed.

18 BRIAN APPLEBEE; AFFIRMED

19 EXAMINATION BY MS. LAWRENCE:

20 Q. Good afternoon. My name  
21 is Emily Lawrence and I'm co-lead commission  
22 counsel in this inquiry. Thank you for your  
23 patience today. I'm going to ask you some  
24 questions starting with questions about your  
25 personal background.

1 I understand that since 2015,  
2 you have been the manager of transportation in the  
3 City of St. Catharines. Is that right?

4 A. That's correct.

5 Q. And you were project  
6 manager of transportation at CIMA from 2009 to  
7 2015?

8 A. That's correct.

9 Q. I understand that while  
10 at CIMA, you worked primarily with municipal  
11 clients?

12 A. That's correct, yeah.

13 Q. And frequently on  
14 projects involving road and traffic operations?

15 A. That's correct, yes.

16 Q. Thank you. So, I'm going  
17 to ask you some questions about what we call the  
18 2013 CIMA report. Registrar, could you bring up  
19 CIM9209, please. Thank you.

20 Mr. Applebee, the registrar  
21 will be sharing documents with us today. Can you  
22 see the entirety of the screen right now?

23 A. Yes.

24 Q. Great. So, Registrar,  
25 can you go to image 3 first, please.

1                   So, this is an e-mail -- in  
2 fact, could you call out the e-mail. It's in the  
3 middle of the page, please. Thank you. Just so  
4 it's a little bigger for all of us.

5                   This is an e-mail from  
6 Ron Gallo to you on February 27, 2013 with an  
7 invitation to a meeting with City staff, including  
8 Mr. Gallo, and the subject line of this e-mail is  
9 Red Hill Safety Improvements.

10                  Do you remember the initial  
11 back and forth that led to the CIMA report in  
12 February 2013?

13                  A. Vaguely. I remember it  
14 mostly from reviewing material for this.

15                  Q. Prior to this exchange in  
16 February of 2013, did you know Mr. Gallo?

17                  A. I did, yes.

18                  Q. In what context?

19                  A. I worked for -- not for  
20 directly, but I worked with Ron when I worked at  
21 the City of Hamilton in 2005. He was a supervisor  
22 in the section that I worked in. He was not my  
23 direct supervisor, but I did work with him.

24                  Q. What department did you  
25 work in?

1                   A.    I worked in -- I forget  
2    the exact name, but it was the traffic operations  
3    section.

4                   Q.    Okay.  Is that the  
5    department that Hart Solomon oversaw for a period  
6    of time?

7                   A.    Correct.  Hart Solomon  
8    was my boss, yes.

9                   Q.    And what about  
10   Mr. Cooper, who is also copied on this e-mail?  
11   Did you work with him?

12                  A.    I did not work directly  
13   with Steve, although I think he may have been a  
14   student at the City when I worked there full time,  
15   but I don't believe I worked with him beyond that,  
16   but I did know Steve from that time.

17                  Q.    Okay.  So, I'm dropping  
18   you actually in the middle of an e-mail exchange,  
19   but I think it is the one that might refresh your  
20   memory the most about these initial discussions.

21                  Mr. Gallo has asked for a  
22   proposal and you say:

23                                "Shouldn't have any  
24                                trouble getting you one.  
25                                Can you provide us even a

1 bullet list in an e-mail  
2 of your expected scope?"

3 And then you ask:

4 "Is it an RSA-type review  
5 only or is it a larger  
6 safety review?"

7 And then you list a number of  
8 things that appear to be part of a larger safety  
9 review.

10 What is an RSA review?

11 A. So, an RSA is a road  
12 safety audit and typically a road safety audit  
13 review would be done by effectively working  
14 through a checklist with a group of people, a team  
15 of people, that would go out to a site and review  
16 based on items that are identified on the  
17 checklist. So, it's pretty -- it's meant to be a  
18 reasonably quick review that's done generally for  
19 smaller facilities and the scope of those are  
20 limited to, you know, a smaller degree than a  
21 larger safety review, so it doesn't include things  
22 like the geometrics, signing and lighting and  
23 items of that nature. It's a higher-level, more  
24 simple process.

25 Q. Okay. And a larger



1 safety review, does that include a collision  
2 review?

3 A. It can and it did in this  
4 case, yes.

5 Q. And what about an RSA?  
6 Do they typically include collision histories or  
7 collision review?

8 A. In my experience,  
9 typically no, they do not.

10 Q. Thank you. Registrar,  
11 can you close that call out and go to image 2,  
12 please. And if you could call out Mr. Cooper's  
13 e-mail at the bottom.

14 And you'll see Mr. Cooper in  
15 the third paragraph says:

16 "It will be a larger  
17 safety review."

18 And sets out the types of  
19 things to be considered in that review and also  
20 review of changes we have made in recent years and  
21 their effectiveness and any gaps identified with  
22 suggested improvements and a cost-benefit analysis  
23 for the addition of lighting, if recommended.

24 At this time, did you  
25 understand the reason why the City was contacting

1 you to do this safety review?

2 A. No, I didn't have a good  
3 appreciation for why this would happen.

4 Q. And at this point, you  
5 understood that it was going to be a large review  
6 and could include lighting. Is that fair?

7 A. Yes. Based on this  
8 e-mail, absolutely.

9 Q. Registrar, can you close  
10 that call out and go up to image 1 and 2. Thank  
11 you.

12 So, you'll see in the middle  
13 of image 2, which is on the right-hand side, you  
14 say:

15 "My most basic question  
16 is what is the impetuous  
17 for this assignment?"

18 And Mr. Cooper responds in the  
19 bottom of image 1 and the top of image 2:

20 "It's due to a motion put  
21 forward by councillors to  
22 include lighting upgrades  
23 on the RHVP in the area  
24 of Mud/Stone Church  
25 interchange, investigate

1 better reflective signage  
2 and lane markings and  
3 'other' initiatives."

4 And then he says at the top in  
5 response to a question that you had:

6 "We are not aware of a  
7 significant collision  
8 issue on the main line."

9 And then notes one of the  
10 ramps, there's been some improvements.

11 Did you ever receive a copy of  
12 the motion passed by Public Works or by a  
13 councillor, it says? Did you ever receive copy of  
14 that motion that Mr. Cooper was referring to?

15 A. No, I did not.

16 Q. Did you rely on City  
17 staff to provide information about the nature of  
18 that motion to CIMA?

19 A. Yes, I did.

20 Q. Registrar, can you close  
21 this and go to OD 6, page 18, paragraph 35,  
22 please.

23 So, we have an e-mail that you  
24 send after a March 11 teleconference with the  
25 City. Pardon me, it was before that

1 teleconference with the City to finalize the  
2 proposal. Do you recall participating in a call  
3 with City staff to discuss the project?

4 A. Not specifically, I  
5 don't, no.

6 Q. Okay. Do you recall if  
7 they provided any additional information to you  
8 during this call, besides what's here?

9 A. Yeah. I mean, I don't  
10 specifically recall, so I don't know.

11 Q. Okay. Registrar, can you  
12 bring up HAM426, please.

13 Do you recognize this as the  
14 front page of a request for quotation that CIMA  
15 prepared in respect of the safety review that  
16 Mr. Cooper had sought from you?

17 A. Yes. That's what that  
18 appears to be for sure, yes.

19 Q. Did you draft this  
20 request for quotation?

21 A. I probably did or had a  
22 significant input into it, I would think. That  
23 was typical at the time.

24 Q. Okay. You'll see at the  
25 bottom third of this page there is the

1 Understanding of the Assignment.

2 Registrar, can you call out  
3 the paragraph from "the purposes of this review"  
4 until figure 1. There we go.

5 So, looking at this today, it  
6 says:

7 "The key aspects that  
8 will be examined include  
9 but may not be limited to  
10 lighting, signs and  
11 markings and geometry."

12 And then also that you would  
13 do a detailed cost-benefit assessment for each  
14 recommendation. Is that a fair description of the  
15 assignment as you understood it when you were  
16 putting this request for quotation together?

17 A. Yeah. At the time, I  
18 believe this was based on the information that we  
19 had received, which is effectively those three  
20 items.

21 Q. And at this time, having  
22 had a call with the City, were you content that  
23 you were all on the same page about the scope of  
24 the assignment?

25 A. I would expect that we

1 were. If we hadn't been, I would have expected  
2 that there would have been some modification made  
3 at this point to reflect that.

4 Q. Okay. Registrar, can you  
5 close that call out and go to the next image,  
6 please.

7 So, two things. Figure 1 is  
8 the study area, so you'll agree with me that this  
9 was a portion of the Red Hill that was going to be  
10 the study area?

11 A. That's correct, yes.

12 Q. And the selection of the  
13 study area was done at -- the City selected the  
14 study area or did CIMA?

15 A. That would have been  
16 something that the City would have selected. We  
17 wouldn't have arbitrarily selected this.

18 Q. Okay. The request for  
19 quotations goes through a work plan where CIMA  
20 lists a number of tasks. I'm just going to take  
21 you through them very quickly.

22 So, there's a startup meeting.  
23 Is that standard?

24 A. Generally standard, yes.

25 Q. And the second is data

1 collection. Again, is that general for the larger  
2 safety review that the City has sought?

3 A. Yes.

4 Q. Registrar, can you go to  
5 the next image, please.

6 Task three is the initial data  
7 review and gap analysis, so is that assessing  
8 whether there's anything missing from the  
9 information the City has provided?

10 A. Correct, yes.

11 Q. And then the next three  
12 tasks, collision coding, collision review and  
13 field review, are those all fairly standard for  
14 this type of safety review?

15 A. I would say tasks five  
16 and six are standard. The collision coding or the  
17 GIS would be somewhat unique for this type of  
18 review, but likely was something that was asked  
19 for or requested by the client at the time.

20 Q. Registrar, can you call  
21 out task six, please.

22 So, here, the field  
23 investigation is expected to take place through a  
24 full day to cover peak and off-peak times and a  
25 nighttime visit to assess headlight glare,

1 retro-reflectivity of signage and lighting.

2 Is it common to do a nighttime  
3 visit in this kind of safety review?

4 A. It's common, depending on  
5 what the nature of the review is and if  
6 information was provided that there was concerns  
7 with items that may occur during the night, for  
8 example, the retro-reflectivity of signage can't  
9 be tested during the day, neither can lighting,  
10 then absolutely a nighttime visit would be  
11 something that would be included in order to  
12 properly evaluate the situation.

13 Q. Do you recall if the  
14 reference to a nighttime visit was included in  
15 this request because you had received information  
16 that there was concerns that would warrant such a  
17 field review?

18 A. It's probably likely  
19 because there was the investigation of lighting,  
20 so that was probably why it was included or one of  
21 the main reasons why it was included.

22 Q. Okay. You said probably  
23 and likely. Does that mean you don't have a clear  
24 recollection either way?

25 A. I don't have a clear



1 recollection, but that would make sense to me that  
2 that would be why we would do that.

3 Q. Okay. Can you close out  
4 that call out and go to the next image.

5 There's also a design review.  
6 Is that common, a design review?

7 A. In a safety review, no, I  
8 don't think a design review would be considered  
9 common.

10 Q. Okay. Registrar, can you  
11 go to the next image, please.

12 And then I'm going to  
13 paraphrase these next few tasks. In a safety  
14 review like this, is it common that CIMA  
15 identifies the key issues from the data analysis,  
16 identifies potential solutions, evaluates those  
17 solutions and then meets with the client to  
18 discuss the analysis and the potential solutions?

19 A. I would say that would be  
20 common of a study like this, yes.

21 Q. Okay. And the next  
22 image, please. Thank you.

23 And then finally, in advance  
24 of drafting, in this case, the City had asked for  
25 a cost-benefit analysis as well. Is that right?

1 A. Correct, yes.

2 Q. Okay. Registrar, can you  
3 go to the next image, please.

4 There's a list of individuals  
5 who were going to be involved and at that top it  
6 has Stephen Cooper and Ron Gallo. Are those  
7 listed because they're the people who are going to  
8 give instructions to CIMA?

9 A. Correct. They were --  
10 from our understanding at the time, they would  
11 have been the project managers at the City, yes.

12 Q. Okay. And what was your  
13 role going to be in this project?

14 A. According to this, I was  
15 going to oversee the operations and safety aspects  
16 of the review. That was what was put forward at  
17 the time of this proposal.

18 Q. Okay. And Maurice  
19 Masliah --

20 A. Yeah.

21 Q. -- he is listed there as  
22 doing human factors?

23 A. Correct.

24 Q. Can you describe the  
25 difference between what your role and what his

1 role was going to be?

2 A. So, my role would likely  
3 have over seen the review of the -- the field  
4 review with respect to signage and markings and  
5 other items like this, perhaps the lighting, and  
6 then the safety aspects, including probably  
7 overseeing the collision review.

8 The human factors is a  
9 specialty that Maurice has and it's a specialty  
10 that I do not have, and that involves looking at  
11 the interaction between drivers and the road  
12 itself and the environment, so it's a specialty  
13 thing that he was able to do that I was not and  
14 it's the softer side as opposed to the harder  
15 side, which is, you know, the signs, are they  
16 legible, are they in the correct spots, do the  
17 pavement markings make sense and stuff like that.  
18 Human factors is how do we interact with the road  
19 and are there items on the road that could cause  
20 driver expectancy to be thrown off and items like  
21 that. That's what human factor would look like.

22 Q. Okay. So, you spoke  
23 about markings and you spoke about signs and I  
24 think you referenced lighting, so lighting was  
25 under your portfolio here. Is that right?

1                   A.     It would be common  
2     between human factors and the operations and  
3     safety.  The pure reviewing and justification of  
4     warrants would be under operations and safety and  
5     reviewing how lighting or no lighting and people  
6     interacting with the road and how that might  
7     affect that, that would be a human factor.

8                   Q.     Okay.  Just going back to  
9     your interactions with City staff, Stephen Cooper  
10    and Ron Gallo are listed.  As the project  
11    progressed, who was your primary contact?

12                  A.     So, this changed from  
13    what's shown here, what is also typical, as  
14    projects within the company changed as well, but I  
15    ended up acting more in a role of the project  
16    manager on this and less overseeing the other  
17    stuff.  And my interactions, I think primarily  
18    from recollections and from review here, is  
19    Stephen Cooper would have been my main contact at  
20    the City, not so much Ron Gallo.

21                  Q.     Okay.  And what about  
22    Gary Kirchknopf?

23                  A.     I believe Gary was  
24    involved at a very high level on just a couple of  
25    minor occasions.  Generally, I don't believe I was

1 taking any or I was interacting with Gary on a  
2 regular basis.

3 Q. You don't think you were  
4 interacting with him on a regular basis?

5 A. From my recollection, I  
6 wasn't interacting with him on a regular basis.

7 Q. Okay. Did you have any  
8 interactions with Gary Moore while you were  
9 working on this project?

10 A. No.

11 Q. So, you said you moved  
12 into a project manager role. Dr. Hadayeghi is  
13 listed as the project manager. Over time, what  
14 did you understand his role to be?

15 A. He was sort of -- he was  
16 acting as more of a reviewer, as somebody similar  
17 to what Brian Malone's role here is as a project  
18 director, and I believe over time Brian and Ali  
19 actually ended up sharing that project director  
20 role rather than Ali acting as the project manager  
21 on a day-to-day basis.

22 Q. Okay. Registrar, can you  
23 go to HAM426, please.

24 THE REGISTRAR: Sorry,  
25 counsel. This is HAM426.

1 MS. LAWRENCE: You're right.  
2 Thank you. I will come back to that. Can you go  
3 to CIM9020.0001. If you could call out the  
4 section before the table, at the top.

5 BY MS. LAWRENCE:

6 Q. So, are these the minutes  
7 of an internal CIMA meeting to kick off this  
8 project?

9 A. Yes, they appear to be,  
10 yes.

11 Q. Registrar, can you close  
12 that out. Under roles, we can call it out if you  
13 can't read it, but right at the beginning, that  
14 would be helpful, Registrar, thank you. You're  
15 listed here as the ISRSR lead and liaison. Can  
16 you describe what those two terms mean?

17 A. The ISRSR, that's what  
18 would have been referred to as an inservice road  
19 safety review, so that was the review that was  
20 being undertaken. That's more of a common term  
21 that's used in the industry or at least at the  
22 time it was. So, I was, again, overseeing that,  
23 the field review and the collision review and the  
24 lighting and things like that. City liaison  
25 effectively would have been acting as that project

1 manager and the liaison back and forth through the  
2 City's project managers, as the, you know, typical  
3 day-to-day contact with the City on that level.

4 Q. Okay. Registrar, can you  
5 close that call out and call out the second to  
6 last paragraph within the table that is Night  
7 Review.

8 So, here, it does say:

9 "Night review to follow  
10 on a rainy night during  
11 the week of the field  
12 investigation."

13 I have a couple questions on  
14 this. One, do you recall whether or not CIMA  
15 ultimately performed a rainy night review?

16 A. I don't recall, no.

17 Q. Do you recall why a rainy  
18 night review was listed on this internal kickoff  
19 meeting agenda?

20 A. I would have to assume  
21 that we had received information at that time that  
22 there was concerns with collisions occurring  
23 during wet weather and during the night, perhaps a  
24 combination of those or maybe separately but I  
25 don't recall specifically, but that was a theme of

1 this report for sure.

2 Q. Okay. You can close that  
3 for a moment. You can close this image and you  
4 can pull up, Registrar, CIM9115.0001. Thank you.

5 So, I'm just going back in  
6 time. We were looking at the internal meeting on  
7 May 10. This is project initiation meeting  
8 minutes and am I correct that was the kickoff  
9 meeting with City staff to kick off this project?

10 A. Yes. That appears to be  
11 what this is.

12 Q. Okay. Registrar, can you  
13 call out the paragraph at the bottom of this page  
14 that starts, "Project came out of." Thank you.  
15 It says:

16 "Project came out of a  
17 request by City council  
18 to review the lighting."

19 Coming out of this meeting,  
20 did you understand that one of the important  
21 things that CIMA would do was to assess lighting  
22 in the study area?

23 A. Yes.

24 Q. You can close that call  
25 out, Registrar, and if you can go to image 2 and



1 if you can go to the top of this page and call out  
2 Safety Concerns Noted and the four bullet points,  
3 please. Thank you.

4 So, the last two are also  
5 referencing the safety concerns that were noted,  
6 lack of lighting at most locations and driver  
7 inability to detect lanes. Does that assist you  
8 with the information that CIMA received that would  
9 have led to the rainy night review?

10 A. Absolutely, yes.

11 Q. Okay. You can close that  
12 and, Registrar, you can take that document down.

13 So, that was in late April and  
14 then in May you have the internal meeting. Is it  
15 fair to say that for the next several weeks your  
16 team worked to collect the data, which was that  
17 task we went through, and started to analyze it?

18 A. I would say that's fair,  
19 yes.

20 Q. And to do the field  
21 review?

22 A. Correct, yeah.

23 Q. Okay. Is it common  
24 practice for CIMA to build in one or more progress  
25 meetings with clients?

1                   A.     Depending on the size and  
2     scope of the project, yes, absolutely. Typically  
3     there would be at least one and on a larger  
4     project there could be more. Two was not unusual.

5                   Q.     Okay. Registrar, can you  
6     turn up CIM8423, please. Apologies, Registrar, I  
7     think what I want to be looking for is  
8     CIM8423.0001. Thank you.

9                   So, this is a document  
10    entitled "Meeting Number 2, Progress Meeting  
11    Number 1," from June 6, 2013, and it lists a  
12    number of individuals from CIMA and from the City  
13    in attendance at CIMA's office in Burlington.

14                  Do you remember attending this  
15    meeting?

16                  A.     I don't specifically  
17    remember attending it, but the meeting minutes  
18    show I was there.

19                  Q.     And what is the purpose  
20    of progress meetings?

21                  A.     Effectively to bring the  
22    client up to speed on the progress of the project  
23    and to discuss any elements that may need to be  
24    discussed at that time perhaps to provide some  
25    initial feedback, perhaps to get additional

1 clarification that we're on the right path or if  
2 more time is spent on something, so it's basically  
3 just to get everybody on the same page and to  
4 share ideas and any recommendations and findings  
5 or questions that we might have at what given  
6 point we're at.

7 Q. Okay. Going into this  
8 meeting, did you understand that lighting was part  
9 of the scope of this project?

10 A. Yes, absolutely.

11 Q. And, in particular, did  
12 you understand that an assessment of the full  
13 illumination of the study area was part of the  
14 scope?

15 A. That was -- at the time,  
16 the belief, all we had -- the information that was  
17 available I believe at the time was that lighting  
18 was to be included. It wasn't very specific as to  
19 where, so I believe that at the time the thought  
20 was that lighting through the study area, which  
21 would include main line and ramps and interchange.

22 Q. Okay. Registrar, can you  
23 pull out the fifth paragraph, which is "CIMA to  
24 use TAC Illumination."

25 A TAC illumination warrant,

1 what is that?

2 A. So, it's a warrant that's  
3 been put out by the Transportation Association of  
4 Canada to review the potential need for lighting,  
5 similar to the MTO one but slightly different.

6 Q. Okay. And here it says:  
7 "CIMA to use TAC  
8 illumination warrant.  
9 CIMA to rely on outcome  
10 of warrant, but recognize  
11 outcome of MTO warrant."

12 Reading this, is it more  
13 likely or not that this is a direction from the  
14 City on what CIMA should do?

15 A. This is for sure, almost  
16 for sure, a direction from the City to CIMA to use  
17 the TAC warrant, yes.

18 Q. Okay. You can close  
19 that, please. Registrar, can you bring up CIM103.

20 Is this a PowerPoint  
21 presentation that was prepared for this meeting?

22 A. It appears to be, yes.

23 Q. Okay. Did you present  
24 this PowerPoint presentation at the meeting?

25 A. I don't believe so. I'm

1 not sure if the minutes state otherwise, but I  
2 don't -- I think I presented one of them and I  
3 think Maurice presented one of them as well, so  
4 I'm not sure on the dates.

5 Q. Okay. So, maybe I should  
6 put it differently. Did CIMA present this  
7 PowerPoint presentation to the City at the  
8 meeting?

9 A. Yes, CIMA would have.  
10 Someone from CIMA would have presented that,  
11 absolutely.

12 Q. Okay. Registrar, can you  
13 turn to page 26, please. Thank you.

14 Is it fair to say by this  
15 point CIMA had conducted a preliminary collision  
16 analysis?

17 A. Yes.

18 Q. And the results are  
19 listed in that top box on this page?

20 A. Yes, correct.

21 Q. And CIMA was at the point  
22 of starting to put together potential  
23 countermeasures. Is that also fair?

24 A. Yes, it looks like a  
25 preliminary list had been developed at that point.

1 Q. Okay. Registrar, can you  
2 turn to image 12 of this, please. Thank you.

3 By this point, CIMA had also  
4 done some analysis on illumination?

5 A. Yes. It appears that  
6 way, yes.

7 Q. Okay. You said there is  
8 the TAC warrant tool and then you also mention the  
9 MTO warrant tool. How are those different?

10 A. I can't say specifically  
11 without having them in front of me, but the MTO  
12 one from my recollection is designed more for  
13 MTO-type facilities, so usually higher order  
14 highways, whereas the TAC warrants tend to be more  
15 focused on a municipal level, on a lower order  
16 roads. That's typical of TAC versus the MTO  
17 guidance and their illumination warrant, from my  
18 recollection, is similar. They get to the same  
19 point but they do it slightly differently and TAC  
20 is, again, more sort of geared towards municipal  
21 level roadways rather than the MTO 400-series  
22 highways.

23 Q. Okay. Registrar, can you  
24 go to image 17, please. Could you minimize that  
25 just a little bit, make it a bit smaller. I don't

1 know if there's an option to make it a bit  
2 smaller. Thank you.

3 So, looking at this,  
4 Mr. Applebee, it says here:

5 "Illumination warrant  
6 analysis based on MTO  
7 warrant."

8 So, in the lead-up to this  
9 June 6 meeting, had CIMA completed an MTO warrant  
10 analysis?

11 A. It appears that we had,  
12 yes.

13 Q. What does this slide  
14 demonstrate in terms of the outcome of that  
15 warrant analysis?

16 A. This slide appears to  
17 show that full interchange illumination is  
18 suggested for, I believe that's Dartnall and Mud  
19 Street interchanges, and that partial illumination  
20 is suggested for the Greenhill interchange.

21 Q. Okay. And the space  
22 between the two interchanges at the bottom, that's  
23 a main line ramp. Is that right? Pardon me, I  
24 misspoke. That's the main line.

25 A. Yes, it is a short

1 section of the main line that I believe may be  
2 overlapped by some ramp coming to and from Mud and  
3 Dartnall. One runs almost right into the other, I  
4 believe, in both north and southbound directions.  
5 I think there may be a very short section of main  
6 line separate and apart from the ramps in there.

7 Q. And at this point, given  
8 the way that the study area was constructed, would  
9 you agree that full illumination for the part in  
10 red would effectively be continuous illumination  
11 for the part in red?

12 A. Yes. Because of the  
13 proximity, full illumination, they would  
14 effectively touch and create what could be  
15 considered continuous illumination. Although they  
16 are defined differently, the nature of this area,  
17 I would agree with you.

18 Q. Okay. Registrar, you can  
19 close that and if you can go back to the prior  
20 image, which was -- pardon me. The prior  
21 document, which was 8423.00. Thank you. Just  
22 back to the minutes, on to image 2, please, and if  
23 you can call out, Registrar, the section under  
24 item 4.

25 So, it says here:



1 "CIMA needs to be  
2 cautious with  
3 illumination. BC is  
4 critical for this  
5 assignment. Due to  
6 political and other  
7 design and cost  
8 constraints, site  
9 specific locations are  
10 probably better than full  
11 illumination. CIMA to  
12 make sure that  
13 illumination, if  
14 recommended, would  
15 actually assist in  
16 reducing the types of  
17 crashes on the facility  
18 and/or improve  
19 conditions, i.e.,  
20 geometric. The following  
21 treatments would  
22 similarly result.  
23 Consider those before  
24 illumination if  
25 possible."

1                   To your recollection, who  
2   provided the statements that I've just read out at  
3   the meeting?

4                   A.    I don't recall who  
5   specifically would have said that.

6                   Q.    Would it be someone from  
7   the City or someone from CIMA?  Can you remember  
8   that?

9                   A.    Well, this information  
10  would have come from the City, not from CIMA,  
11  definitely.  A caution to CIMA would have come  
12  from somebody at the City for sure.

13                  Q.    Is Mr. Cooper, Mike  
14  Field, Ron Gallo, and Gary Kirchknopf, who were in  
15  attendance from the City, does that assist with  
16  your recollection of who gave you, CIMA, direction  
17  on lighting-related matters?

18                  A.    I mean, if I had to  
19  guess, it would probably be Mike Field, as he was  
20  the lighting expert at the City.  The other  
21  gentlemen were not, so I assume if somebody was  
22  speaking about lighting, it would have likely been  
23  him, but I don't have that specific recollection,  
24  but it would make sense that Mike Field would be  
25  commenting on lighting rather than the other

1 gentlemen.

2 Q. Okay. Do you recall  
3 anything further about the discussion about design  
4 constraints?

5 A. I don't recall specifics,  
6 but I know there was discussion about constraints  
7 that were put on the design through the approvals  
8 process for the parkway itself, but also due to  
9 the nature of the area for which it traverses.  
10 You know, there's some specific topography that it  
11 has to get through in order to go from top to  
12 bottom, and so there were design constraints but  
13 also some of it was related to approvals required  
14 in order to actually get this actual highway built  
15 in the first place. I don't recall anything more  
16 specific than that.

17 Q. What do you recall about  
18 any discussion around cost constraints?

19 A. I don't frankly recall  
20 that discussion at all. It doesn't stand out in  
21 my mind.

22 Q. Okay. And what about  
23 political constraints?

24 A. I don't know for sure. I  
25 can only guess it was probably related to the

1 motion from the council or councillor, sorry, that  
2 we hadn't actually seen but had been discussed on  
3 a couple of occasions previous to this.

4 Q. Okay. So, you don't know  
5 for sure but you can guess. Do you have a  
6 recollection of a discussion about the motion from  
7 the councillor?

8 A. No. Not specifically,  
9 no.

10 Q. Okay. Coming out of this  
11 meeting, what was your understanding about CIMA's  
12 next steps as it related to illumination?

13 A. Well, that we needed to  
14 ensure that the benefit-cost was completed of  
15 course and that before recommending illumination,  
16 that a further study would need to be completed to  
17 ensure that there would have been a positive or  
18 potentially a positive outcome to improve or  
19 reduce the number of crashes based on putting  
20 luminaires in, because it doesn't automatically --  
21 because something is justified or warranted  
22 doesn't automatically mean it would have a  
23 positive effect on any specific type of collision.

24 Q. Okay. So, you understood  
25 coming out of this meeting that assessment of the

1 lighting, partial, full, continuous, was within  
2 CIMA's scope?

3 A. Yes, correct. Although  
4 they had noted that, you know, site specific  
5 probably better than full, so that would have been  
6 the understanding, I believe, coming out of this  
7 meeting.

8 Q. The understanding would  
9 have been that the City had a preference about  
10 what your eventual recommendation would be?

11 A. It certainly appears that  
12 way, based on this wording.

13 Q. Okay. Do you recall if  
14 there was any discussion about gathering more  
15 information from the City about lighting?

16 A. I don't recall anything  
17 of that nature, no.

18 Q. Do you recall any  
19 discussion about CIMA contacting Gary Moore for  
20 more information about design constraints?

21 A. No. I was -- I only  
22 learned about that through prep for this.

23 Q. Okay. Coming out of this  
24 meeting, did Brian Malone, I think you've already  
25 answered this, but did Mr. Malone tell you about a

1 call that he had with Mr. Moore about design  
2 constraints?

3 A. I don't recall Brian ever  
4 mentioning a call with Gary Moore, no.

5 Q. Thank you. I see the  
6 time. It's 4:32 and I know that some counsel have  
7 a hard stop at 4:30 today, so I've ended this line  
8 of questioning, Commissioner, and I suggest that  
9 we adjourn for the day.

10 JUSTICE WILTON-SIEGEL: That's  
11 fine. We'll adjourn until 9:30 tomorrow morning.  
12 And I understand that we have a hard stop at 1:00  
13 tomorrow as well.

14 MS. LAWRENCE: That's correct.  
15 And perhaps the registrar can put counsel into a  
16 breakout room and so that we can discuss  
17 tomorrow's schedule and hopefully come in the  
18 morning to you, Commissioner, with a clear path to  
19 get to that hard stop.

20 JUSTICE WILTON-SIEGEL: Thank  
21 you. We'll stand adjourned until 9:30 tomorrow  
22 morning.

23 --- Whereupon the proceedings adjourned at  
24 4:33 p.m. until Thursday, June 2, 2022 at 9:30  
25 a.m.